

STATE WATER RESOURCES CONTROL BOARD

---oOo---

VICTOR VALLEY WASTEWATER RECLAMATION AUTHORITY

PETITION FOR CHANGE

---oOo---

HELD AT

PAUL BONDERSON BUILDING
SACRAMENTO, CALIFORNIA

TUESDAY, DECEMBER 5, 2000
10:00 A.M.

---oOo---

Reported by:

ESTHER F. WIATRE
CSR NO. 1564

CAPITOL REPORTERS (916) 923-5447

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

BOARD MEMBERS:

ARTHUR G. BAGGETT, JR., HEARING OFFICER
JOHN BROWN

STAFF MEMBERS:

ERNEST MONA
THOMAS PELTIER
MELINDA DORIN

COUNSEL:

DANA DIFFERDING

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPRESENTATIVES

VICTOR VALLEY WASTEWATER RECLAMATION AUTHORITY:

SOMACH, SIMMONS & DUNN
400 Capitol Mall, Suite 1900
Sacramento, California 95814
BY: ANDREW M. HITCHINGS, ESQ.

DEPARTMENT OF FISH AND GAME:

NANCEE MURRAY, ESQ.
1416 Ninth Street, 12th Floor
Sacramento, California 95814

SOUTHERN CALIFORNIA WATER COMPANY AND
CITY OF BARSTOW:

MCCORMICK, KIDMAN & BEHRENS
695 Town Center Drive, Suite 1400
Costa Mesa, California 92626
BY: ARTHUR G. KIDMAN, ESQ.

APPLE VALLEY RANCHOS WATER COMPANY:

NOSSAMAN, GUTHNER, KNOX & ELLIOTT
445 South Figueroa Street
Los Angeles, California 90071
BY: ANDREW J. YAMAMOTO, ESQ.

JESS RANCH WATER COMPANY:

GARY LEDFORD
11401 Apple Valley Road
Apple Valley, California 92308

JOSEPH VAIL:

JOSEPH VAIL
16993 Abbey Lane
Victorville, California 92394

---oOo---

1	INDEX	
2		PAGE
3	OPENING OF HEARING:	6
4	AFTERNOON SESSION:	90
5	POLICY STATEMENTS:	
6	ROBERT SAGONA	9
	RUDY CABRIALES	11
7	TOM SUTTON	13
	JOSEPH VAIL	15
8	JACK BEINSCHROTH	19
9	VICTOR VALLEY WASTEWATER RECLAMATION AUTHORITY:	
10	OPENING STATEMENT:	
	ANDREW HITCHINGS	25
11	DIRECT EXAMINATION:	
12	BY MR. HITCHINGS	
13	FIRST PANEL:	
14	DANIEL GALLAGHER	30
	GUY PATTERSON	44
15	RANDAL HILL	49
16	CROSS-EXAMINATION:	
17	BY MS. MURRAY	63
	BY MR. LEDFORD	74
18	BY MR. YAMAMOTO	115
	BY MR. VAIL	124
19	DIRECT EXAMINATION:	
20	BY MR. HITCHINGS	
21	SECOND PANEL:	
22	FRITZ CARLSON	128
	LISA KEGARICE	137
23	THOMAS DODSON	141
	PETER MACLAGGAN	152
24		
25		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INDEX (CONT.)

CROSS-EXAMINATION:	
BY MS. MURRAY	164
BY MR. KIDMAN	204

---oOo---

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SACRAMENTO, CALIFORNIA

TUESDAY, DECEMBER 5, 2000, 10:00 A.M.

---oOo---

HEARING OFFICER BAGGETT: Good morning. This is the time and place for a hearing on Victor Valley Wastewater Reclamation Authority's petition for change.

I am Art Baggett, Acting Chair of State Board and Hearing Officer in this matter. This is the time and place for the hearing on Victor Valley Wastewater Reclamation Authority's petition for change filed pursuant to Water Code Section 1210, et seq. This hearing is being held in accordance with the Notice of Public Hearing dated October 6, 2000, and my November 2nd, 2000 ruling on procedural matters and notice of change in the hearing scheduled.

Today I will be assisted by staff members Dana Differding, staff counsel; Ernest Mona, staff engineer; Melinda Dorin, staff environmental specialist. We also have Tom Peltier, staff geologist.

The purpose of this hearing is to receive information to assist the State Board in determining whether to approve an order regarding Victor Valley's petition for change. This hearing will afford the parties who have filed a notice of intent to appear an opportunity to present relevant oral testimony, studies and other evidence to address key issues in the notice of public hearing. The hearing will result in

1 an order being issued by State Board regarding the petition
2 change.

3 After the hearing record is closed, there will not be
4 an opportunity to present additional evidence. State Board
5 order will be based on the record developed at this hearing.
6 After the hearing record has been compiled and staff
7 recommendations are completed, the full membership of the
8 State Board will make a decision. After the State Board
9 adopts an order, any person who believes that order is in
10 error will have 30 days within which to submit a written
11 petition with supporting evidence for reconsideration by the
12 Board.

13 At this time I will ask Dana Differding to cover
14 procedural items and introduce staff exhibits for the
15 hearing.

16 MS. DIFFERDING: Just one procedural item which is that
17 we have arranged for a Court Reporter to take a transcript
18 of this proceeding and anyone who would like a copy of the
19 transcript should make separate arrangements with the Court
20 Reporter, Esther Wiatre.

21 At this point I would like to offer the staff exhibits
22 into evidence. They're listed on Page 6 of the hearing
23 notice, and unless anyone would like me to read them, I will
24 not go through reading the whole list.

25 H.O. BAGGETT: Any objection to entering the staff

1 exhibits?

2 If not, they are entered.

3 Before we begin with policy statements, if you are
4 making comments it helps our Court Reporter if you have a
5 business card, you can just pass it to her. It makes her
6 job a lot easier and would be appreciated.

7 Before we get into the evidentiary presentations, we
8 will hear from any speaker who wishes to make a
9 nonevidentiary policy statement. Policy statements may
10 include views of the speaker as well as nonexpert comments
11 on evidence that has been submitted for the record. Policy
12 statements are subject to the following provisions:

13 First, the person making a nonevidentiary policy
14 statement will not be sworn or asked to affirm the truth of
15 their statement.

16 Second, the person making policy statements must not
17 attempt to use their statement to present factual evidence,
18 either orally or by introducing written exhibits.

19 Third, at the discretion of the Hearing Officer
20 questions may be addressed to persons making policy
21 statements for the purpose of clarifying those statements.
22 However, persons making policy statements are not subject to
23 cross-examination.

24 And fourth, policy statements should be limited to ten
25 minutes or less. I would prefer if you can keep them short

1 and to the point. A lot of you have submitted written
2 policy statements. They will be read, I can assure you, by
3 the Board Members and the Hearing Officer as well as our
4 staff.

5 If you wish to make a policy statement, I think we have
6 blue cards here, fill one out. First we will hear from -- I
7 don't think there are any elected officials, are there,
8 noticed here? We will begin with the elected officials. It
9 says city of.

10 Is there an elected official who wishes to make a
11 policy statement?

12 MR. SAGONA: Good morning, Mr. Chairman. I am Bob
13 Sagona, mayor pro tem of the town of Apple Valley. It is a
14 municipality, but it is a town. I also hold the title as
15 Chairman of the Victor Valley Wastewater Reclamation
16 Authority.

17 We are a town of some 57,000 population. Our water
18 service in Apple Valley is provided by a combination of
19 public utilities and private purveyors, each of whom are
20 responsible for and independently working on their own
21 respective management plans.

22 Some seven years ago the town of Apple Valley
23 anticipating construction of subregional treatment plants,
24 adopted such in our master plan, our sewer master plan. And
25 these treatment facilities were intended for the sole

1 purpose of making available highly treated reclaimed water
2 for reuse purposes. In Apple Valley, like at least one
3 other local community, a member of VVWRA, the reclaimed
4 supplies may provide for irrigation of parks, golf courses,
5 school yards, and streetscapes, et cetera.

6 And in 1999 the town entered into an agreement with the
7 town's largest water purveyor; that is the Apple Valley
8 Ranchos Water Company, which states in part that the
9 purveyor must provide reclaimed water for reuse purposes
10 upon notice that reclaimed water is available or the town
11 may also enter their service area for the same purpose.

12 The application for change in point of discharge and
13 use is consistent with the town's sewer master plan and
14 goals in providing highly treated reclaimed water use in
15 irrigating areas will otherwise be irrigated with high
16 quality drinkable or potable water. That plan is consistent
17 with the goals of the VVWRA sewer facilities plan for the
18 same reasons. It will provide a new source of available
19 revenue to offset future increases associated with the
20 operation and maintenance of a regional treatment plant,
21 which in turn will reduce the cost of sewer service provided
22 to the town's customers. That is, the revenues generated
23 would be applied against and credited to the fees generated
24 and paid for by the member communities.

25 Most important, the plan is consistent with the

1 California Water Code, which requires the use of reclaimed
2 water over high quality potable water for obvious reasons,
3 to conserve drinkable water, and as well, when reclaimed
4 water is available. It constitutes a waste of and
5 unreasonable use of water if we were to overuse drinkable
6 water.

7 The town of Apple Valley wishes to make clear that the
8 town endorses and supports fully VVWRA in its efforts to
9 provide reclaimed water within its service area and ask that
10 the State Water Resources Control Board approve the
11 application for change in point of discharge and use and
12 deny any protest of the action as unreasonable.

13 That is all I have, Mr. Chairman.

14 H.O. BAGGETT: Any questions, staff?

15 Thank you.

16 MR. SAGONA: My pleasure.

17 H.O. BAGGETT: Any other elected officials?

18 MR. CABRIALES: Good morning. My name is Rudy
19 Cabriales. I am a former vice president of the Victor
20 Valley Water District. I currently serve on the City
21 Council of the City of Victorville, and I am also the vice
22 chair of Victor Valley Wastewater Reclamation Authority
23 Board.

24 The Victor Valley Wastewater Reclamation Authority has
25 adopted a sewage facility plan that includes proposals for

1 reclaimed water projects such as the one before you. This
2 project fits in with the City's facilities plant, as well as
3 the City of Victorville's policies and plans for the use of
4 recycling water on its golf courses and other recreational
5 facilities that we are proposing. This project will utilize
6 low cost, nonpotable recyclable water to offset the use of
7 high quality potable water that is currently being applied
8 for nonpotable uses and obviously for irrigation at one of
9 our golf courses at the airport.

10 The Water Code contains numerous legislative
11 declarations that the policy as stated is to support local
12 agencies in their efforts to use reclaimed water. We
13 support that and we are working to that end. Recently also
14 the state Legislature adopted SB 2095, and clearly it states
15 that the use of potable domestic water for landscape areas
16 is considered a waste of unreasonable use of water within
17 the meaning of Section 2, Article X of the California
18 Constitution, and if recycled water is available that meets
19 the conditions described in Section 13550 of the Water
20 Code.

21 This project has unanimously been supported by Victor
22 Valley Wastewater Reclamation Authority Board and also in
23 addition the project has also been unanimously supported by
24 the city of Victorville City Council. This project would
25 eliminate the need to pump clean drinking water from the

1 aquifer. Instead we would use reclaimed water from the
2 regional authority. We believe this is in accordance with
3 the state legislative intent, and we would ask that the
4 Board give our project consideration and act favorably on
5 our behalf.

6 Thank you.

7 H.O. BAGGETT: Thank you.

8 We have Tom Sutton.

9 MR. SUTTON: Thank you. Good morning. My name is Tom
10 Sutton. I am with the County of San Bernardino Special
11 Districts Department.

12 Today I am here on behalf of two special districts that
13 are part of the Victor Valley Regional Wastewater Authority.
14 Those are County Service Areas 64 and 42. And I also am the
15 alternate board member appointed by the Board of Supervisors
16 to the Victor Valley Regional Wastewater Authority. I am
17 currently an alternate member and the treasurer, and I'm
18 also the past president of the California Water
19 Environmental Association, and I bring that up because I
20 would just like to make a statement regarding -- I am not
21 here representing the California Water Environmental
22 Association. However, I would like to say that the
23 association does strongly support recycling projects
24 throughout the State of California and the association is
25 working very closely with water associations and reuse to

1 bring about water recycling projects.

2 The hat that I wear on behalf of those two districts
3 is, in fact, a responsibility that we take -- that I take
4 very seriously. This recycling in itself is part of the
5 main fiber of water use throughout the state of California.
6 It's a significant piece of the CalFed Bay-Delta program and
7 the County Board of Supervisors to that end supports that
8 program, and they have adopted a resolution in favor of the
9 program which includes recycling projects. So, generally
10 speaking, as the two speakers before me have talked about,
11 statewide recycling fits in with a lot of areas and is
12 always a positive way to reuse water to save potable water.

13 Specifically on this project, I think it is important
14 to understand that this project has been in the process for
15 over two years. There has been a lot of time and a lot of
16 effort and a lot of money expended by the authority to bring
17 this project to pass. And I would hope that this Board
18 would take all of the testimony that is about to be brought
19 forward into consideration for their final decision.

20 A couple items that I think are important to point out
21 also is the fact that this is a project that is a
22 multi-beneficial project. There is -- the outcome will
23 include continued flow of water into the Mojave River to
24 enable habitat to continue, water being reused in a
25 responsible manner to help offset the cost and the

1 production of potable water. Those are very multiple
2 purpose issues. The two districts that I represent have
3 two -- they're active customers of VVWRA, and we also
4 provide water service to them as well. Today you will
5 receive testimony from other water purveyors in opposition
6 to this project, and that is all well and good.

7 In our particular case the uniqueness is our customers
8 -- we have customers both that are members or are served by
9 VVWRA and other purveyors who are not. We also provide the
10 water service to them. So a comparison of equity, I think,
11 is important to take into consideration, and that being that
12 ultimately I feel personally very strongly and I believe the
13 law supports that and that is the fact that VVWRA does, in
14 fact, own the water and are, in fact, doing everything they
15 can to offset the negative impacts of the concerns and,
16 therefore, the customers of VVWRA should not continue to be
17 held responsible for what I believe to be a subsidy in
18 regards to the reclaimed water going directly to the river
19 without the authority receiving, in fact, credit and/or
20 value for that product. This project will ultimately
21 accommodate that, and that is all I have to say.

22 Thank you.

23 H.O. BAGGETT: Thank you.

24 Joseph Vail.

25 MR. VAIL: Thank you for the opportunity to be here. I

1 appreciate you letting me get in the last minute to be able
2 to participate in this. Not being an attorney, you don't
3 know all the legal ramifications for some of these
4 things. I was a little bit lost in some of the paperwork.

5 The gentleman said before he feels very strongly. I do
6 too. I have lived in the Victorville area since late 1965
7 and owned property there since 1967. I remember the
8 percolation ponds located on southwestern part of cement
9 property. This is now what they produce. I ran for a seat
10 on the sewer board in the late 1970s after several
11 conversations with a gentleman by the name of Pete Sarter,
12 and was almost elected. In late 1977 we purchased property
13 across the river from the cement plant and the sewer ponds
14 and well remember the smell that went with you.

15 I ran for a seat on the board because I believe in
16 developing the sewer treatment plant and taking care of the
17 environment by doing so, not the least of which was my
18 breathing space. The plan that exists today is proof that
19 the will of the people of Victor Valley, and I know for
20 personal experience that I can speak for at least 40 percent
21 of those people when I say that at no time do we the people
22 envision the treatment plant deciding to sell treated water
23 for some other use then putting it back into the river.

24 The entire beginning of the plant was, as sold to the
25 general population, was returning of better water to the

1 river for reuse by the people along the Mojave River basin.
2 The word reclamation was in the name to reclaim the water
3 for use by the water users along the river basin, not for
4 VVWRA to take the treated water, plainly marketing and
5 selling it to some of the consumers. I can guarantee you
6 that this interpretation of attempting to be applied to this
7 term would not have passed the vote of the people then and
8 am equally certain it would not pass if submitted to the
9 voters today.

10 As I said, I am a resident of Victorville and have been
11 there many, many years. I have seen things happen in the
12 city that do make me as a common ordinary citizen very
13 happy, not the least of which is what is currently called
14 the Green Tree Golf Course as an example. I was told by a
15 golf course employee at the desk one day when I went to play
16 golf that some of the big shots of the city of Victorville
17 played golf for either next to nothing or possibly even
18 free. The citizens of Victorville own the golf course, and
19 the average citizen pays about \$20 to play 18 holes. The
20 golf course is also subsidized by city tax dollars which
21 come from the citizens of Victorville. Some of whom don't
22 even play golf.

23 Now we have a golf course on the old George Air Force
24 Base that the city wants to water using cheap water while
25 the citizens of Victorville will be paying considerably

1 more. When I say cheap water, I'm talking \$35 an acre-foot.
2 According to papers, people of Victorville are paying Victor
3 Valley Water Agency water \$365 an acre-foot. The amount of
4 cost for replacement water, makeup water, is \$200 an
5 acre-foot, approximately.

6 If, I say if, what the VVWRA and their lawyers claim is
7 true, in this entire basin is one interrelated big pond,
8 three or four more ponds, and each depth area is responsible
9 for the lower areas for the amount of the water that flows
10 to connect. Why would the City of Victorville want to get
11 water from the treatment plant? Follow the money. City
12 gets cheap water. The citizens must buy expensive water.
13 Sounds like a good deal to me, and I have to play golf on
14 the golf courses for free.

15 I have talked with citizens of Victorville, and not one
16 of them that I have talked to yet are in favor of selling
17 water and doing this type of program. So I ask the State
18 Water Resources Board to tell the Victor Valley Water Agency
19 to do the job for which it was formed in the beginning, and
20 that is not to try to sell water to somebody else but to put
21 the water back in the river for use by the people
22 downstream.

23 H.O. BAGGETT: Thank you.

24 Gary Ledford.

25 MR. LEDFORD: I won't have a policy statement.

1 H.O. BAGGETT: Jack Beinschroth. You are also a
2 witness.

3 MR. BEINSCHROTH: I am Jack Beinschroth, civil
4 engineer, resident of Apple Valley for 40 years and an
5 agricultural producer.

6 Some of these previous speakers addressed the fact that
7 they would be reutilizing water that would appear would be
8 wasted if they didn't reutilize it. Actually, the way the
9 water is placed in from the treatment plant at the present
10 time it was a hundred percent utilized. It percolates into
11 the porous river basin and a hundred percent return to
12 natural.

13 If they take this water and use it in a golf course for
14 irrigation, 50 percent of it will be lost by evaporation or
15 transpiration. So that only 50 percent would actually
16 return to the basin. So its present use is its best use.
17 Anything other than that would lose a portion of it. And I
18 think they are comparing the situation or making it appear
19 that we have something similar to Los Angeles in the Iperian
20 water, if you don't utilize it it goes to the ocean and it
21 is totally lost.

22 In our case the way it is being used it is a hundred
23 percent returned and anything other than that would deter
24 from the amount that would be utilized.

25 On the economic point, I think you are well aware that

1 we are obligated to supply 23,000 acre-feet to the sub area
2 that is below Alto, and as part of that we now utilize the
3 effluent from the treatment plant. If this is transferred
4 and, say, with the pipeline that they have developed, the
5 entire amount, which is roughly 9,000 gallons -- I mean
6 9,000 acre-feet per year could be transferred and not
7 utilized as percolation water. It would affect the people
8 who have to make payment on makeup water to the Barstow area
9 by threefold.

10 For instance, in my operations we have -- we make
11 payment of \$10,000 in the last year as makeup water. If
12 they utilize this entire amount our payments would be
13 something like 30- or \$35,000. So it economically affects
14 the producers and is a detriment because it is not utilized
15 at a hundred percent. So I feel that there should not be
16 any consideration given to making the transfer to the
17 location placing of this water.

18 Thank you.

19 H.O. BAGGETT: Thank you.

20 Any other parties wishing to make policy statements?

21 We have two submitted in writing, which is Fish and
22 Wildlife Service and WaterReuse Council.

23 MS. MURRAY: The Fish and Wildlife Service asked me,
24 the Department, to submit their comments, public comments
25 from the public in writing, and I have given eight copies to

1 you and just want to make sure that the other parties got
2 copies.

3 H.O. BAGGETT: Ray Miller, Executive Director of
4 WaterReuse submitted comments, and they will be entered into
5 the record.

6 MR. HITCHINGS: Mr. Baggett, Andrew Hitchings on behalf
7 of VVWRA. My understanding was also CASA, California
8 Association of Sanitation Agencies, had submitted a written
9 policy statement, but I am not certain whether they are
10 going to be here today or not.

11 H.O. BAGGETT: I haven't seen it.

12 MR. MONA: I have a copy of that right here.

13 H.O. BAGGETT: We do have a copy. It will be
14 submitted.

15 MR. HITCHINGS: Thank you.

16 H.O. BAGGETT: Any other ones?

17 If not, we will go to the main order of the proceedings
18 and then take a short recess to allow the first case in
19 chief to set up.

20 So, move the evidentiary portion of this proceeding.
21 The order of proceeding will be to receive testimony from
22 participants in the following order: Victor Valley
23 Wastewater Reclamation Authority, followed by the California
24 Department of Fish and Game, Jess Ranch Water Company,
25 Southern California Water Company, Apple Valley Ranchos

1 Water Company and Joe Vail. He has no case in chief. So we
2 have five cases.

3 All participants who present evidence in this hearing
4 will have the opportunity to make an opening statement
5 explaining the objectives of your case, the major points to
6 be made, the relationship between major points and the key
7 issues. All opening statements will be limited to 20
8 minutes for each party. Each participant will then present
9 one case in chief on key issues listed in the hearing
10 notice, including all written testimony, exhibits and oral
11 summaries of written testimony. Oral presentation of direct
12 testimony of each witness shall be limited to a maximum of
13 20 minutes and not to exceed a total of two hours for all
14 witnesses presented by the party. I may extend the time
15 allowed for presentation of case in chief if there is a
16 showing of good cause.

17 Each participant's witnesses will be subject to
18 cross-examination by the other participants presenting
19 evidence, the State Board staff and the Hearing Officer
20 immediately following the presentation of the case in chief.
21 Cross-examination will be limited to 20 minutes per witness
22 or per panel of witnesses. I will extend the time allowed,
23 again, if there is a showing of good cause. Participants
24 will also have the opportunity to present rebuttal evidence
25 subject to cross-examination.

1 I think this makes sense to bring it up here. What I was
2 hoping to do, because of the one-time constraint that we
3 have with one of our witnesses. Randy Hill needs to leave
4 because he has a board meeting back down in Victor Valley
5 this evening and he has a flight that is going to depart
6 that requires him to leave here at about 2:15. Given the
7 timing here, I think we will probably have time to present
8 his testimony and provide for cross.

9 What I would propose doing, I would like to have Mr.
10 Hill, Mr. Gallagher and Mr. Patterson testify essentially as
11 a panel. Present their direct testimony each in a row and
12 then have cross-examination done of those witnesses as they
13 are seated as the panel with whatever questions need to be
14 presented to them, similar to what --

15 H.O. BAGGETT: As a panel, that is what I prefer to do,
16 as panel of witnesses, and it is more efficient.

17 MR. HITCHINGS: I would also propose to do after we
18 have that panel of three witnesses, to have Mr. Dodson, Mr.
19 Carlson, Ms. Kegarice and Mr. MacLaggan as a panel for the
20 other group.

21 H.O. BAGGETT: Unless there is an objection by the
22 parties.

23 MS. MURRAY: So we will have a panel of witnesses for
24 cross-examination and the second panel?

25 MR. HITCHINGS: Correct.

1 MS. MURRAY: I have no objection.

2 H.O. BAGGETT: With that let's take five minutes to
3 allow Victor Valley to set up.

4 Recess.

5 (Break taken.)

6 H.O. BAGGETT: We are reconvened.

7 Mr. Hitchings.

8 MR. HITCHINGS: Thank you. Good morning, Mr. Bagget
9 and Board staff. Just another point of proceeding. I do
10 have an opening statement to present before we present our
11 direct case in chief, and I assume this is the time to do
12 this.

13 H.O. BAGGETT: This is the time.

14 MR. HITCHINGS: Thank you.

15 As I stated earlier, my name is Andrew Hitchings on
16 behalf of Victor Valley Wastewater Reclamation Authority
17 which we will probably refer to as VVWRA to avoid saying
18 that mouthful every time.

19 This proceeding involves VVWRA's petition to change the
20 place of use, purpose of use and point of discharge pursuant
21 to Water Code 1211. The petition seeks to change the point
22 of discharge of up to 1,680 acre-feet annually of VVWRA's
23 treated wastewater from an outfall on Mojave River in order
24 to irrigate a golf course and other landscaped areas at the
25 former George Air Force Base, which is now known as Southern

1 California Logistics Airport.

2 The reclaimed water will be used there in lieu of high
3 quality potable water that is currently used for those
4 nonpotable irrigation uses at SCLA. The project will come
5 on line in such a gradual basis that any reduced discharges
6 to the Mojave River would be offset by increased flows that
7 are treated and discharged by VVWRA, given the projected
8 growth that will occur and growth in flows that will be
9 collected by, delivered to and treated by VVWRA.

10 The project is entirely consistent with the state's
11 policy to use nonpotable water for nonpotable uses in order
12 to reduce groundwater overdraft and prevent the waste and
13 unreasonable use of water that would involve using potable
14 water for nonpotable uses.

15 The dispute in this proceeding can really be summarized
16 as follows: The water user protestants are seeking to
17 ensure that they can continue to receive the economic
18 benefit of VVWRA's discharge flows without paying for this
19 benefit. And Department of Fish and Game is seeking to
20 transfer the obligation to VVWRA to essentially be a
21 guarantor of flows through the Transition Zone, which is the
22 riparian habitat downstream of the discharge point. Even
23 though Department of Fish and Game and other parties are
24 obligated to ensure that these flows occur under the Mojave
25 Adjudication to which VVWRA is not a party.

1 What the State Board must find in this proceeding, this
2 is a proceeding under Water Code Section 1211, which
3 requires the Board to review VVWRA's petition pursuant to
4 Water Code Sections 1700 through 1707. The only finding
5 that the Board must make under Water Code Section 1700 to
6 1707 is that the change will not operate to the injury of
7 any legal user of the water involved.

8 While the Board is obviously required to comply with
9 CEQA, there is nothing in 1211 or in Section 1700, et seq.,
10 that requires the Board to make any findings regarding any
11 potential impacts to fish, wildlife or other instream
12 beneficial uses.

13 What the evidence is going to show in this proceeding,
14 there is no legal injury or no injury to a legal user of the
15 water involved in this case. The protestants are not legal
16 users of the water involved. They have no right to use
17 VVWRA's treated recycled water and cannot compel VVWRA to
18 continue its discharges at its current levels or at any
19 levels.

20 VVWRA is not a party to the Mojave Adjudication, and
21 there is nothing in the Adjudication that compels VVWRA's
22 discharge of recycled water at any amounts.

23 The water user protestants do not actually divert and
24 use the water discharged by VVWRA, but instead rely on its
25 flow to offset their costs of complying with their

1 downstream flow obligations under the Adjudication. The
2 protestants will not experience any injury that is protected
3 under Water Code Section 1702.

4 The petition for change has no potential to interfere
5 with their ability to divert and use water. The only
6 potential injury to the water user protestants is economic,
7 and that is not within the scope of injury protected under
8 1702.

9 As to environmental considerations, even if VVWRA's
10 project was fully implemented today, there would still be
11 sufficient flows remaining in the river to ensure that
12 surface flows continue through the Transition Zone. As a
13 result, there will be no adverse effect on fish, wildlife or
14 other public trust resources. This is particularly true
15 given the way that this project will not be fully
16 implemented immediately. It won't immediately take 1,680
17 acre-feet of water annually from the discharge point. This
18 is going to happen on a gradual basis. And as stated
19 earlier, that is going to be more than offset, that gradual
20 increase in deliveries up to SCLA by the increase in flows
21 that are expected to be treated at the treatment plant.

22 Moreover, VVWRA has offered in this proceeding and
23 at the outset in trying to resolve the protest in this
24 proceeding to dedicate a minimum baseline discharge flow of
25 2,000 acre-feet annually through the Transition Zone,

1 subject to certain conditions, and they've also offered Fish
2 and Game a right of first refusal to purchase an additional
3 2,000 acre-feet, which Fish and Game happened, the
4 biological resources assessment fund under the Mojave
5 Adjudication to purchase that water.

6 The Fish and Game's assertion in this proceeding in
7 their testimony that a take permit would be required is
8 really a red herring. While VVWRA disputes that any take
9 permit would be required, the Board can, like it often does,
10 approve the VVWRA's petition subject to compliance with any
11 take permit that may be legal or required. That is an issue
12 that is the subject of another proceeding; it's not an issue
13 that needs to be dealt with by the Board here.

14 In conclusion, this decision will have a particular
15 importance to future recycled water use in the State of
16 California, especially within the context of the greatly
17 overdrafted basin where potable water supplies are currently
18 being used for nonpotable uses and recycled water is
19 available for those needs.

20 All of the protestants are parties to the Mojave
21 Adjudication, while VVWRA is neither a party to nor bound by
22 the Adjudication. When you strip the parties' protests down
23 to their essence, they're essentially asking this Board to:

24 One, require that VVWRA guarantee the obligations that
25 others must bear under the Adjudication.

1 treatment plant operator in the State of California. I am a
2 registered professional engineer in the state of
3 Illinois, and I, of course, serve as their general manager
4 and I have a Bachelor's degree in environmental science from
5 Bradley University.

6 MR. HITCHINGS: Mr. Gallagher, I am going to direct you
7 to VVWRA Exhibit 1B, and I would like you to confirm whether
8 or not, for the record, this is a true and correct copy of
9 your resume?

10 MR. GALLAGHER: Yes, it is.

11 MR. HITCHINGS: Does that accurately state your
12 experience and qualifications for this matter?

13 MR. GALLAGHER: Yes, it does.

14 MR. HITCHINGS: I would like to direct your attention
15 to VVWRA Exhibit 1A, and ask you whether this is a true and
16 correct copy of your written testimony that you prepared and
17 submitted for this proceeding.

18 MR. GALLAGHER: Yes, it is.

19 MR. HITCHINGS: Do you have any changes or corrections
20 you would like to make to that written testimony?

21 MR. GALLAGHER: No, not at this time.

22 MR. HITCHINGS: Then I'd ask that you summarize your
23 testimony in accordance with the Chair's instructions
24 earlier.

25 MR. GALLAGHER: Thank you.

1 First, I would like to start with a brief history of
2 VVWRA. Prior to the 1970s, the City of Victorville operated
3 a wastewater treatment facility, and a portion of the city
4 of Victorville was sewerred. With the advent of the Clean
5 Water Act in 1972, the elected officials in the Victor
6 Valley began looking at a regional solution for wastewater
7 treatment. In the 1970s the Mojave Water Agency was
8 selected to be the lead agency to attempt to secure clean
9 water grant funding to build a regional wastewater treatment
10 facility and a collection system to serve the entire Victor
11 Valley.

12 And in 1977 a Joint Powers agreement was executed with
13 the member entities of VVWRA, and that is found as Exhibit
14 1E in each of your packages. The Joint Powers authority
15 included the City of Victorville; the City of Adelanto, the
16 town of Apple Valley, actually at the time it was the Apple
17 Valley Water District; the City of Hesperia, and at that
18 time it was the Hesperia Water District; and the County of
19 San Bernardino two county service areas, that being County
20 Service Area 64, which is Spring Valley Lake, and County
21 Service Area 42, which was Oro Grande. If I may, I will
22 point those out on the map which is also Exhibit 1C in each
23 of your packages.

24 The Apple Valley Water District is north and east in
25 this map. The Hesperia Water District is on the southern

1 edge, the city of Adelanto on the western, and the city of
2 Victorville in the center. County Service Area 64, Spring
3 Valley Lake is found along the Mojave River at this
4 location. County Service Area 42, Oral Braun, is located
5 along the Mojave River up at this location.

6 The treatment plant was constructed in the late '70s
7 and into 1980 and actually began operating in February of
8 1981. The original design for the treatment facility was
9 four and a half million gallons per day. That capacity
10 originally was intended to be discharged entirely to
11 percolation ponds. There was not to be a river discharge,
12 but as the plant was getting ready to go under construction
13 an archeological survey found evidence of early human
14 habitation on part of the property that was to become
15 percolation ponds, an archeological dig began, and those
16 evidence of human habitation was over 4,000 years old.

17 Because of that find a portion of the percolation ponds
18 were abandoned. The plant or a portion of the plant was
19 redesigned for a direct river discharge. So to this day we
20 have a combination of discharge directly to the river and to
21 percolation ponds.

22 In 1988 the capacity of the treatment plant was
23 expanded to nine and a half million gallons per day. And
24 also in 1988 the City of Adelanto withdrew from our Joint
25 Powers Authority after they constructed their own wastewater

1 treatment plant, became permitted and started operating
2 that plant on September 15th of 1988.

3 We are currently or we recently finished improvements
4 to our treatment facility to meet requirements of our NPDES
5 permit through the LaHontan Regional Water Quality Control
6 Board, and those requirements included a zero toxicity
7 standard for discharge to the Mojave River as well
8 dechlorination for our effluent that has been fully
9 disinfected.

10 In 2000, just a few months ago, we started construction
11 of another expansion. We are currently expanding the
12 capacity of the treatment plant to 11 mgd. That will help
13 us meet the continuing growth of the area.

14 I put an overhead up that shows the history of flows
15 for our treatment facility. The first year that we have
16 data for was 1982-83, and these are fiscal years. At that
17 time our flow was just a little over 3,000,000 gallons per
18 day and our discharge in acre-feet was about 3,400
19 acre-feet. Our predicted flow for this fiscal year, which
20 will end in June, would be about 8.63 million gallons per
21 day, and that will be a total discharge of almost 9,700
22 acre-feet.

23 Our Board recently adopted a sewage facility's plan, a
24 20-year plan, that addresses population growth, our flows,
25 what improvements we are going to need to complete so that

1 we can accommodate that growth. And currently our service
2 population, the population of the area, is approximately
3 192,000 people. Of that population, approximately 94,000
4 people are served by sewers, and our flow is predicted this
5 year to average about 8.63 million gallons her day. By the
6 year 2020 our population of our service area should approach
7 300,000. We expect to have about 183,000 people sewered and
8 our flows should be well in excess of 18,000,000 gallons per
9 day.

10 So, over the next years we are predicting that the size
11 of our facility and our flows will more than double.

12 The source of all the water that comes to VVWRA is all
13 from produced groundwater. There is no surface water that
14 is utilized for water in the Victor Valley, and likewise
15 there is no State Project water that is utilized in Victor
16 Valley, although the aqueduct does pass through Victor
17 Valley on its way to Lake Silver Wood. No one currently in
18 Victor Valley uses that water.

19 The policies and goals of the Reclamation Authority are
20 very clearly including reclamation since its early
21 inception. Again, Exhibit 1E is a copy of our Joint Powers
22 agreement. The Joint Powers agreement includes a number of
23 references to beneficial uses of reclamation, and probably
24 even more importantly are the 30-year service agreements
25 that each of our member entities signed in 1977, in which

1 they agreed to remain a part of the Authority for 30
2 years. And that those utility service agreements include a
3 formula for how to utilize revenue that was generated from
4 the sale of reclaimed water. That was to be used to offset
5 the cost of operations and maintenance for the sewer users
6 of Wastewater Authority.

7 This is a copy of our mission statement. Our mission
8 statement is included as Exhibit 1F, and this was adopted by
9 our Board of Commissioners. I think it very clearly states
10 in its major bulleted item that professional wastewater
11 treatment reclamation and reuse and recycling is a very
12 integral part of what our Authority has selected to do as
13 our goal.

14 In 1998 a memo of understanding was signed with the
15 City of Victorville to provide reclaimed water to the former
16 George Air Force Base, and that is included as Exhibit 1G in
17 your package. Later that year a formal agreement for the
18 service of reclaimed water was executed with the City of
19 Victorville for the service of reclaimed water for SCLA.
20 That is also found in your packet as Exhibit 1H.

21 Now, our Board also executed a resolution. That is
22 Resolution 9811. Resolution 9811 was a very important
23 resolution for our Board because it was attempting to
24 resolve once and for all that VVWRA would take the lead role
25 in our service area for wastewater reclamation and

1 beneficial reuse. There are several bulleted items on this
2 resolution that I pointed out, and if I may read it for the
3 Board.

4 The Authority shall service as a principal
5 entity providing regional wastewater
6 treatment and reclamation for the entire area
7 served by the Authority, and VVWRA authority
8 will provide reclaimed wastewater for
9 beneficial uses. If the Board of
10 Commissioners determines that the use is in
11 the best interest of the Authority.

12 (Reading.)

13 Just in September our Board held a workshop, and there
14 is a copy of the agenda from that workshop included as
15 Exhibit 1K. At that workshop our Board began to consider a
16 possibility of our selling portions of our effluent to
17 purveyors for them to satisfy their makeup obligation under
18 the terms of the Adjudication. This actually came at the
19 request of several of the purveyors in the Victor Valley.
20 And following that workshop our Board directed us to draft a
21 policy. We are currently reviewing a draft policy, that has
22 yet to be adopted. But our Board is working on that and we
23 feel that that is a very instrumental part of our overall
24 plan for reclamation.

25 Now the project involves irrigation of landscaped

1 areas and a golf course at the former George Air Force Base.
2 And just a bit of history, if I may.

3 George Air Force Base, I believe, was established in
4 the 1940s and continued operating up until 1990. George Air
5 Force Base originally had its own wastewater treatment
6 plant. And the golf course at George Air Force Base, which
7 was a nine hole golf course, was irrigated by the Air Force
8 using treated wastewater from their facility, their
9 wastewater treatment facility.

10 In 1981 when VVWRA began operating, the sewage from the
11 Air Force Base was redirected to VVWRA. The Air Force shut
12 down their old treatment plant, and at that time they began
13 irrigating their golf course with potable drinking water.
14 At that time reclaimed water was not available to them.
15 This map shows the proposal to build a pipeline between our
16 treatment plant and the nine hole golf course at SCLA, which
17 is the new name of it, and that is the Southern California
18 Logistics Airport.

19 The pipeline is approximately three to four miles
20 long. It will be probably in the neighborhood of 16 to 18
21 inches in diameter. There is a fairly significant vertical
22 lift that has to be made by pumps to get up to that
23 location, so our pumps are fairly large. But the proposal
24 is to pump a maximum of 1.5 million gallons per day or 1,680
25 acre-feet per year for irrigation of landscaped areas and

1 the golf course at the Air Force Base former Air Force
2 Base.

3 If I may, if the Chair doesn't object, I have an aerial
4 photo of the area which I think is very clearly an easy way
5 to depict the area. It is not one of my exhibits, but I
6 would like to use it if I may?

7 H.O. BAGGETT: Any objection by anyone?

8 MS. MURRAY: Is this a talking point? What is the
9 purpose of the aerial photo?

10 MR. GALLAGHER: Because it very clearly shows the
11 treatment plant, the size of the golf course and the Air
12 Force Base and how it's related to the river. The river is
13 very clearly shown in the photo.

14 H.O. BAGGETT: You aren't proposing to enter it as an
15 exhibit?

16 MR. GALLAGHER: No, I was not.

17 MS. MURRAY: Put it up and we will see.

18 MR. HITCHINGS: I might add that to the extent that the
19 Board finds it helpful, the Board certainly can take this as
20 an exhibit in preparing its decision. Its own regulations
21 state that copies of general vicinity maps or large
22 nontechnical photographs generally will not be required to
23 be presubmitted. So if the Board thinks this is a helpful
24 tool, then we can have copies made and have them marked and
25 entered as exhibits later.

1 MR. GALLAGHER: This photo is approximately ten years
2 old, but it is a very interesting photo in that it very
3 clearly depicts a portion of our service area. The
4 wastewater treatment plant is located here, along the
5 Mojave River. Of course, you can clearly see the path of
6 the Mojave River through this part of Victor Valley. This
7 is the former George Air Force Base, which is now the
8 Southern California Logistics Airport, and the nine hole
9 golf course is this small area that you see in this
10 location. There are other landscaped areas at the Air
11 Force Base, the former Air Force Base I should say, that in
12 the proposal the city would begin to irrigate over time as
13 they would install new piping so that those areas could be
14 irrigated using reclaimed water. That would be phased in
15 over time.

16 But essentially the pipeline would extend from our
17 treatment plant up to a small reservoir at the golf course,
18 and from there it would be used for irrigation of the golf
19 course.

20 As part of our environmental review of this project we
21 prepared environmental review, and the LaHontan Regional
22 Board commented on that review. At that time requested an
23 antidegradation study. And that was a study to look at the
24 possible degradation of groundwater underneath the golf
25 course when we or if we were to begin using reclaimed water

1 for irrigation on the golf course.

2 That antidegradation study is included in your packet
3 as Exhibit 1L. The degradation study was specifically
4 requested to include a look at TDS, total dissolved solids.
5 That study did, and the study found that there would be no
6 significant impacts, adverse impacts, if we were to begin
7 using reclaimed water for irrigation of the golf course.
8 The agency also prepared a Title 22 engineering study, and
9 that is included as Exhibit 1M. The engineering study was
10 to address everything from treatment to the actual use of
11 water for a reclaimed water project, and that is required by
12 the Department of Environmental Health in the State of
13 California. And that report was prepared and found that
14 VVWRA effluent meets all the requirements for direct reuse
15 of our effluent and also included how the water would be
16 applied and utilized for irrigation.

17 Now, it is important to know and I try to state this,
18 and this data hopefully supports that, that with gradual
19 implementation of this project and our continuing growth in
20 flows the discharge to the river will continue to increase
21 over time. This chart is actually included as Exhibit 1N in
22 your packet. Our current flow in the year 2000 is
23 approximately 8.69 million gallons. If our project begins
24 and we begin irrigating the golf course in the year 2001,
25 the golf course currently uses about 400 acre-feet a year

1 for irrigation. The city of Victorville estimates that it
2 would take approximately ten years to repipe the former
3 George Air Force Base to use reclaimed water for all of the
4 other landscaped areas, and those would include athletic
5 fields, ball diamonds, soccer fields and things like that.

6 So that the full implementation of the project would take
7 until approximately the year 2011, at which time the usage
8 up there would approach the 1,680 acre-feet as included in
9 our proposal. During that time, our flow would increase
10 from its current 8.69 million gallons per day up to about 13
11 and a half million gallons per day. Our discharge to the
12 river would continually increase during this time even with
13 the implementation of reclamation at the former George Air
14 Force Base, to where by the year 2011 we would be
15 discharging somewhere in the neighborhood of 15,000
16 acre-feet a year as opposed to this year we project a
17 discharge of 9,600 acre-feet.

18 The Mojave Adjudication, I am sure will be talked about
19 quite a bit today. The Mojave Adjudication is included as
20 our Exhibit 1J in our package, and I think it is important
21 to note that VVWRA is not a party to that Adjudication. We
22 are not stipulated, we were not required to discharge any
23 flow to the Mojave River. The lawsuit was actually -- I
24 should say the Adjudication resulted from a lawsuit filed by
25 the City of Barstow and Southern California Water in 1990.

1 And probably an important thing to note is that at the time
2 of the agreement for the stipulation, VVWRA's discharge to
3 the river was approximately 7,600 acre-feet. That was in
4 about 1993. That number may come up today during other
5 discussions. Since that time our flow has continued to grow
6 because of the growing population.

7 Now the Mojave Adjudication recognized that there is
8 riparian habitat along the Mojave River. And certainly the
9 aerial photo that we have shows a portion of that habitat.
10 That habitat is historical and dates from at least the
11 1920s. The source of water for that habitat historically
12 came from groundwater discharges and from the natural flow
13 of the Mojave River.

14 This is a copy of the Mojave Basin Plan. This is
15 published in the Sixth Annual Mojave Water Agency Water Map
16 Report, and this shows the various basins in the Mojave
17 Basin. VVWRA is actually located in a Transition Zone. Our
18 discharge to the -- our discharge is actually going to the
19 Transition Zone. And under the terms of the Adjudication
20 becomes included or incorporated into the amount of water
21 that is headed downstream for the City of Barstow.

22 Even though VVWRA does not have an obligation to
23 discharge to the Mojave River, in an attempt to try to
24 resolve this issue VVWRA would like to offer the possibility
25 that we would be willing to consider a guaranteed discharge

1 of 2000 acre-feet to the river and possibly we would also be
2 willing to consider the opportunity to offer right of first
3 refusal to the Department of Fish and Game to purchase an
4 additional 2,000 acre-feet of water if the Department feels
5 that that is necessary to sustain the habitat. And we
6 certainly believe that over time our flows will continue to
7 grow and that with the population of the Victor Valley we
8 will continue to discharge more and more water as time goes
9 by.

10 With that, I think that is the end of my testimony.

11 MR. HITCHINGS: Thanks, Mr. Gallagher.

12 Moving on through the panel, the next witness would be
13 Guy Patterson from the City of Victorville.

14 Guy, I ask that you state your name for the record.

15 MR. PATTERSON: Guy Patterson.

16 MR. HITCHINGS: Could you just briefly state your
17 current title and position with the city.

18 MR. PATTERSON: Public Works Director. I have been
19 Public Works Director for the City for 11 years. I've also
20 served on Victor Valley Wastewater Authority Technical
21 Advisory Committee for approximately nine years.

22 MR. HITCHINGS: Is VVWRA Exhibit, I believe it is, 2B a
23 true and correct copy of your resume?

24 MR. PATTERSON: Yes, it is.

25 MR. HITCHINGS: Could you briefly state your experience

1 and qualifications.

2 MR. PATTERSON: Again, I have been the Director of
3 Public Works for the City of Victorville for approximately
4 11 years. I have worked in the municipal government for the
5 various cities involved with water, wastewater and public
6 works projects for approximately 21 years. And finally,
7 again, I have been involved with this project from the
8 outset.

9 MR. HITCHINGS: I would also like to ask you whether
10 Exhibit 2A is a true and correct copy of the written
11 testimony that you prepared and submitted for this
12 proceeding?

13 MR. PATTERSON: There is one correction.

14 MR. HITCHINGS: So you do have some corrections to make
15 to that?

16 MR. PATTERSON: Yes, one correction on the last page,
17 second sentence, where it indicated these water rights will
18 would not be sold. "Would" should be scratched.

19 MR. HITCHINGS: Okay. Other than that, do you have any
20 other corrections to make to that written testimony?

21 MR. PATTERSON: No, I don't.

22 MR. HITCHINGS: With that done, could you briefly
23 summarize your testimony for the Board.

24 MR. PATTERSON: I think Dan did an outstanding job of
25 reviewing the perspective from the Authority's standpoint.

1 What my goal is is to try to provide the Board with the City
2 of Victorville's perspective towards this project and why
3 the City Council unanimously supports it.

4 Having said that, the City will also address some
5 questions that were raised in the documents. One -- the
6 questions being, if treated wastewater is supplied to the
7 West Winds Golf Course and Southern California Logistics
8 Airport, will the right to pump potable groundwater to serve
9 those bases of use remain unexercised or will the right be
10 sold or otherwise transferred?

11 MR. HITCHINGS: I am sorry, Mr. Patterson, you're
12 referring to one of the key hearing issues from the notice
13 of hearing.

14 MR. PATTERSON: Yes, I am.

15 If the right is transferred, for what purposes will the
16 water be used, and will the consumptive use increase as a
17 result?

18 The water rights will be used on Southern California
19 Logistics Airport for the redevelopment and reuse of the
20 airport. The rights will not be sold or transferred, and
21 consumptive use will not increase as a result of the
22 project.

23 A brief history for the Board on how the City of
24 Victorville became involved in this project. In 1992 George
25 Air Force Base was part of the Base Closure Act, and was

1 closed in '92. And it was the most economically devastating
2 event in the Victor Valley. The project is over 5,000
3 acres. It was the largest employer in the Victor Valley.
4 Through direct jobs and indirect jobs, it's anticipated that
5 we lost approximately 8,000 jobs in the Victor Valley.

6 And the council was basically faced with a vacant city
7 with no revenue on how to redevelop or reinstitute the
8 project. There was a Joint Powers Authority formed with the
9 communities in the Victor Valley, and that authority
10 subsequently delegated the duties of the operation and reuse
11 of the base to the City of Victorville.

12 In addition to the airport and military facilities on
13 the site, the base included two elementary schools, parks,
14 baseball fields, a golf course and other landscaped areas.
15 The council direction was to put the recreational and
16 educational facilities back in operation as soon as
17 practical. They were deteriorating, trees were dying, turf
18 areas were going dormant.

19 So we embarked on the process to do that, and the
20 infrastructure on the site was in very poor condition. The
21 tanks and water system had to be operated manually. We made
22 some investments in the system, and we are currently
23 contracting with the City of Adelanto to purchase potable
24 drinking water from them for the irrigated surfaces.

25 The council at that time then began dialogue with the

1 Wastewater Authority on how we can jointly move together on
2 a project to provide reclaimed water to the site. One of
3 the reasons that the council was very concerned with buying
4 the water from Adelanto, which was drinking water, was that
5 during the mid 1990s our municipal golf course was being
6 watered and still is being watered with domestic water. The
7 water districts, and rightly so, were very vocal about
8 restricting the use of water, cutting back watering times,
9 not watering or washing vehicles in a driveway to preserve
10 the water that we had.

11 At the same time our city council in the middle of the
12 community was pumping drinking water out of the ground to
13 maintain the golf course. So politically it becomes very
14 uncomfortable for the city council. They don't want to be
15 put back into the same position the next time that we have a
16 drought condition in the high desert.

17 This has gone on for about -- the discussions have gone
18 on for about two years. In the process we have lost the
19 opportunity to use an EPA grant to construct the pipeline.
20 We are still committed to funding the project. And again, I
21 think both Dan and Andy mentioned that the initial project
22 is to provide water to the golf course. The ball fields
23 will require retrofitting of the irrigation system. We are
24 going to be doing that, but the point being that we are
25 initially going to be using approximately 200 acre-feet per

1 year. And it will be quite some time before the irrigation
2 systems will be extended to the other areas for irrigation
3 purposes. The maximum 1,680 acre-feet is years down the
4 road, like Dan mentioned.

5 This implementation and as we move forward will be
6 offset by the increased flows due to growth at the regional
7 wastewater authority. Finally, the City of Victorville, the
8 City Council has considered the overriding public interest,
9 the intent to comply with state legislation and the social
10 benefit of using reclaimed water rather than drinking water
11 in a desert climate. The project clearly is in the public
12 interest. And the city council's -- the City of Victorville
13 unanimously supports VVWRA's petition to change discharge.

14 Thank you.

15 H.O. BAGGETT: Thank you.

16 MR. HITCHINGS: Our next witness is Randal Hill from
17 Victor Valley Water District, and can you state your full
18 name for the record.

19 MR. HILL: Randal Dwayne Hill. I typically go by Randy.

20 MR. HITCHINGS: If you could just identify your current
21 title and position.

22 MR. HILL: I have a Bachelor's degree in civil
23 engineering, and I am a registered civil engineer in the
24 State of California. And I am currently the general manager
25 of the Victor Valley Water District where I have been for

1 just under two years.

2 MR. HITCHINGS: Is VVWRA Exhibit 3B a true and correct
3 copy of your resume and statement of qualifications?

4 MR. HILL: Yes, it is.

5 MR. HITCHINGS: Directing your attention to VVWRA
6 Exhibit 3A, is that a true and correct copy of your written
7 testimony that you prepared for this proceeding?

8 MR. HILL: It is correct, but I think there is some
9 additions or corrections that should be made to that
10 testimony.

11 MR. HITCHINGS: If we could go through those, then, I
12 would appreciate it.

13 MR. HILL: When I prepared this testimony and signed it
14 on November 10th, since that time there has been some
15 substantial developments related to the costs that are
16 documented in particular in two paragraphs, in Paragraph
17 Number 15 and in Paragraph Number 17.

18 Currently makeup water cost assessed by producers in
19 the Alta subarea is at \$191 per acre-foot. However, water
20 master is considering and has agendized for their December
21 6th meeting, tomorrow night, a discussion about increasing
22 the makeup obligation for Alto producers to \$227 an
23 acre-foot. There's also been discussion at a workshop
24 meeting on November the 20th, wherein the Board in general
25 agreed that ultimately that cost would go to \$267 an

1 acre-foot if they were to review existing subsidies.

2 Those substantial changes would change the following
3 way. Within my testimony at that time \$191 an acre-foot,
4 the total cost to the Alto subarea producers I estimated to
5 be about \$320,000, just maybe under 321,000.

6 MR. HITCHINGS: You're pointing to Paragraph 17 in your
7 testimony?

8 MR. HILL: Yes, Paragraph 17.

9 At \$227 an acre-foot, that cost to the Alto subarea
10 would go to \$381,000 and that \$267 an acre-foot, it would go
11 to approximately \$449,000, based on 1,680 acre-feet a year.
12 And when I get into my testimony I say what the implication
13 is to my specific agency as a result of that change.

14 MR. HITCHINGS: So the specific changes to the text of
15 your testimony, then, would be in Paragraph 15 where the
16 rate for 2000-2001 is currently noted at \$191 per acre-foot,
17 that should be changed to \$227 per acre-foot.

18 MR. HILL: In my opinion, that is the more likely
19 number.

20 MR. HITCHINGS: At this point that number, though, is a
21 number that is going to be considered at a meeting of the
22 water master's board tomorrow night?

23 MR. HILL: That is correct. That will be my next fun
24 thing to do after this.

25 MR. HITCHINGS: To the extent -- for today's purposes

1 \$191 is an accurate number. This is just to inform the
2 Board and the other parties here there is that nuance that
3 was not necessarily present at the time you signed your
4 testimony?

5 MR. HILL: That is correct.

6 MR. HITCHINGS: Corresponding changes would also be
7 contemplated at least within Paragraph 17 as you indicated,
8 correct?

9 MR. HILL: That's correct.

10 MR. HITCHINGS: Are there any other changes that you
11 would note to your written testimony?

12 MR. HILL: No, there is not.

13 MR. HITCHINGS: Then if you could briefly summarize the
14 testimony that has been presented and noting the key hearing
15 issues which it is intended to address, please go forward.

16 MR. HILL: I know this is a formal meeting, but I
17 thought it would be interesting to note that the clock is
18 behind me, and, therefore, I have no idea how much time I am
19 about to use up.

20 H.O. BAGGETT: You're doing fine.

21 MR. HILL: You will have to flag me when I go long.

22 I was asked to testify by the Reclamation Authority and
23 agreed to, wondering why now, but I agreed to testify as to
24 the Mojave Adjudication and my understanding of it.

25 Basically, my testimony will cover the mechanics of the

1 Adjudication, specifically with regard to replacement
2 obligation and makeup obligation and most particularly to
3 what I believe are the costs, increased cost, to producers
4 in Alto subarea as a result of the proposed project.

5 Some background on the Victor Valley Water District.
6 We were formed in 1931, a long time ago. As a county water
7 district. We have grown from that time to just under 16,000
8 connections, 15,800 service connections. We serve 55 square
9 miles, and we have about 60,000 people that we deliver
10 retail water to within our service area. We are the largest
11 pumper in the Alto subarea. We do have the greatest amount
12 of base annual production or production right within the
13 Alto subarea.

14 We are, as I stated earlier, an independent special
15 district. As such we have a Board of Directors which are
16 elected from within the community that we serve. So we are
17 an independent governmental agency. We are not a member of
18 the Victor Valley Wastewater Reclamation Authority because
19 we do not have sewer service. We just deliver retail
20 water. But probably, in my opinion, the largest portion of
21 water which ends up in the treatment plant comes from our
22 groundwater production. The only other relationship between
23 ourselves and the Reclamation Authority is that we have been
24 in discussions with them hoping that we will be able to
25 negotiate a purchase of recycled water for our makeup

1 obligations, and it would be our intent to leave that water
2 in the river.

3 Our area and the Mojave River in general is in severe
4 state of groundwater overdraft. It is a very serious
5 problem. Our top priorities as a water agency are all
6 focused on water supply. We are in the midst of a treatment
7 plant feasibility study to provide State Water Project to
8 our community, 50,000,000 gallon a day plant; that's a joint
9 plant under study right now by the Adelanto, Baldy Mesa
10 Water District and the county service areas.

11 We are also in the midst of looking at taking that
12 State Water Project and percolating it into the ground,
13 trying to get some recharge to our groundwater basin. And
14 we are also looking at two separate ways of treating water
15 and directly injecting it into the ground because of the
16 water supply situation.

17 With respect to recycled water, we recognize that it is
18 a very important component of our overall water supply in
19 the future. We have developed some draft recycled water
20 standards, and we are in discussions in just general terms
21 with the City of Victorville about possibly being the retail
22 agency for recycled water to the areas within our community
23 that are not publicly owned. And we have had some
24 discussions with the city with respect to a recycled water
25 master plan that they currently have underway.

1 The Victor Valley Water District is a stipulating party
2 to the Adjudication, and as such we are quite familiar with
3 the terms and conditions of the adjudication. Within -- the
4 attachments I am going to put up are within my testimony.

5 The Mojave Adjudication established a number of
6 hydrologic areas which they refer to as subareas. We are
7 right here in the Alto subarea.

8 MR. HITCHINGS: If I could just interrupt, just for the
9 record, Randy, you are referring to Attachment 1 to your
10 testimony?

11 MR. HILL: Yes, Attachment 1.

12 MR. HITCHINGS: That is entitled Average Annual
13 Obligations of Subareas?

14 MR. HILL: Yes, it is.

15 MR. HITCHINGS: Thank you.

16 MR. HILL: There are a variety of basins. The Alto
17 subarea, Este, Oeste, Centro, and Baja. What the
18 Adjudication establishes is that each of these areas are
19 interrelated and have obligations to each other. The
20 specific number of concerns to us is the Alto subarea has an
21 average annual obligation of 23,000 acre-foot, which is
22 measured at the beginning of the Transition Zone, and that
23 is that area's obligation as a whole to downstream parties
24 in the adjudication.

25 There are two basic types of obligations under the

1 Adjudication. The first I will talk about is replacement
2 water. Under the Adjudication each of the parties within
3 the adjudication were given a basic production quantity of
4 water. This is referred to as the base annual production.
5 It was based upon a five-year period of historic flow, and
6 each producer was given the maximum amount of their
7 production in that five-year period, and that was known as
8 the base annual production.

9 There is a mechanism within the Adjudication of
10 adjusting that base annual production downward until the
11 basin comes into safe yield or hydrologic balance. The
12 amount that is ramped down to is called preproduction
13 allowance. And what happens is each party or producer has a
14 certain amount of preproduction allowance. If you produce
15 more water than that preproduction allowance, the difference
16 between the amount that you produce and your preproduction
17 allowance, that difference becomes an obligation to you
18 called a replacement obligation. It's specific to each
19 party, each producer. And they then become responsible to
20 put that same quantity of water back into the basin by
21 either purchasing imported water or negotiating an exchange
22 of water with other producers.

23 The makeup obligation is different. The makeup
24 obligation is that 23,000 acre-feet a year, which is owed as
25 a group of producers to downstream interests. After that

1 obligation is established it is then divvied out amongst the
2 producers to determine how much they will pay.

3 The next exhibit which I will put up is Attachment 2 to
4 my testimony, and it is entitled the Alto Subarea
5 Obligation. This is a spreadsheet which I developed in
6 helping myself understand the historic perspective on the
7 obligation.

8 The first is the obligation which is shown at the top
9 of this spreadsheet. This is the cumulative obligation, on
10 average 23,000 a year. You can see it accumulates across
11 the top. As a credit against that are certain flows that
12 occur in the basin. Base flow is one of the two major
13 flows. This is the amount of water which is naturally
14 occurring in the river, but is separated from storm flows.
15 These are flows other than storm flows. They refer to base
16 flows.

17 You can see on average that those storm flows or --
18 excuse me, those nonstorm flows, base flows, have varied
19 from about 7,800 acre-foot to 9,300 acre-foot per year, with
20 a calculated average -- I read the wrong number.

21 7,400 acre -- 6,500, excuse me, 6,500 acre-foot to
22 about 10,700 with an average of just under 8,000 acre-foot
23 per year is the base flow. The credit also includes the
24 water from the Reclamation Authority. Both the water that
25 they put into the river and the water that they put into

1 percolation ponds then becomes a credit here. You can see
2 that it is varied from 7,700 acre-foot up to 9,300, with an
3 average of about 8,600 in the last five years.

4 Those are the two major sources of credit against the
5 obligation. The obligation is 23,000 acre-feet per year on
6 average, but it's more complicated than that application.
7 There is a base requirement of 18,400. You add to that
8 one-third of the cumulative debt from the previous year and
9 then you can see that if this number here, the cumulative
10 debit, ever exceeds 23,000, then the obligation also
11 includes the total amount to reduce that net to 23,000
12 acre-feet. A little bit complicated, but on average it
13 should come out to 23,000 acre-foot per year which is owed
14 downstream.

15 The Victor Valley Water District's obligation -- excuse
16 me, the Alto Subarea Obligation has varied from 1,800
17 acre-foot a year to 3,400 acre-foot a year on average, just
18 over 2,000 acre-foot per year. Our total as Victor Valley
19 Wastewater District has varied from about 325 to just under
20 700, an average of about 350 acre-foot per year. Our total
21 obligation currently is about 20 percent of the total. My
22 agency picks up the tab for 20 percent of the makeup
23 obligation.

24 MR. HITCHINGS: Randy, if I could just ask for
25 clarification on the section of your spreadsheet that talks

1 about flow during the year, and you've got the base flows,
2 subsurface flows, VVWRA river discharge, and under that
3 you've got VVWRA percentage of total flow. That's the total
4 flow, the three components above, and it does not include
5 storm flows; is that right?

6 MR. HILL: That's correct.

7 MR. HITCHINGS: Thank you.

8 MR. HILL: The net result of the project is that when
9 water is taken out of the river for reclamation, there is an
10 obligation still on the parties to the Adjudication to have
11 at least 23,000 acre-foot per year on average in the river.
12 So that when water is taken out it becomes the party's
13 obligation to put it back in. And that is where the costs
14 come from to the producers in the Alto subarea.

15 As I stated earlier, originally the makeup water for
16 this year's \$191 an acre-foot, which this project would
17 result in \$320,000 per year of which my customers would play
18 \$64,000 of that amount, which is about \$4.00 per customer
19 per year. In the future should the rate be set at \$227 an
20 acre-foot, the worst case of diverting 1,680 acre-feet per
21 year would be a total cost of \$381,000, or our share of that
22 from my customers would be \$76,000 every year or \$4.80,
23 roughly, per customer per year at the highest rate currently
24 anticipated. The total cost would be \$448,000 per year,
25 89,700 for my customer or roughly \$5.70 roughly per customer

1 per year.

2 Those costs that I just gave you, it is possible to get
3 a lower cost than that because that is the cost of
4 purchasing imported water from outside the basin. Currently
5 it is possible to go to downstream users, specifically the
6 Centro subarea, and under the Adjudication we are permitted
7 to buy water in that subarea to meet our makeup obligation.
8 We do that at a two-to-one. If I have a one acre-foot
9 obligation under makeup, I can go to Centro subarea and buy
10 two acre-feet of water and meet my obligation under the
11 adjudication. Currently that can be done for about 30
12 percent to 33 percent less than the cost of imported water.
13 In the long term I think that that margin will close.

14 In conclusion, it seems strange that I am sitting here
15 telling you about some very substantial cost impacts to my
16 customers and yet myself and my Board of Directors are in
17 support of this project. And that's caused some difficulty
18 between myself and my fellow producers, some of which feel I
19 am a traitor. That is not really the case; I just have a
20 different perspective. We don't have a problem with low
21 cost water in the desert. We have a problem with a lack of
22 quantity of water. We are in severe state of overdraft.

23 If you look at our costs on a Southern California basis
24 average, our water is much, much lower than average. I did
25 an evaluation recently using a Black & Veatch study at 1,600

1 cubic-foot per customer. The average in Southern California
2 is \$28 for that quantity of water. My customers are paying
3 \$16 for that same quantity. So our cost is substantially
4 lower than other parts of Southern California.

5 So I think the difference between myself and other
6 producers is that we see the critical, more critical
7 component of water supply in our region to be just that, the
8 quantity of water, not the cost of water. We recognize that
9 this project will increase our cost to our customers. Yet
10 we also recognize that it increases available water supply
11 to the Victor Valley area, and we consider that to be more
12 important than the cost impacts. That is why we are
13 basically in support of the project.

14 MR. HITCHINGS: Thank you. I think that concludes the
15 testimony on direct for these three witnesses.

16 H.O. BAGGETT: You would like to do cross-examination
17 now of this panel so they can --

18 MR.HITCHINGS: That might be best. Given Mr. Hill's
19 time constraint, depending upon what the estimated length of
20 cross cumulatively for a party may be, it may be that we
21 want to make him available so that we possibly can complete
22 any cross-examination of him today, and at least get that
23 out of the way or we can take estimates.

24 H.O. BAGGETT: You have an estimate?

25 MS. MURRAY: I am perfectly amenable to do Mr. Hill

1 first by all parties. I don't have an estimate of time, but
2 it may -- I don't want to rush through Mr. Gallagher in
3 order to -- and hold up Mr. Hill.

4 MR. KIDMAN: Thank you, Mr. Baggett.

5 I would remind the Board that when the Department of
6 Fish and Game wanted to have a little slack relative to the
7 procedures here because their witnesses who had been
8 involved in the Adjudication process, heavily involved for
9 maybe upwards of 30 years on the system, had a heart attack,
10 Mr. Hitchings didn't want to cut any slack whatsoever.

11 Now when we have the opportunity, hopefully, to fully
12 cross-examine all of these witnesses and do it in the order
13 presented so that we can follow along in the way that
14 written testimony and the oral testimony has been presented,
15 we are being asked, so that he can attend a board meeting,
16 that I presume he has known about for months and could --

17 H.O. BAGGETT: So I presume your answer, you object?

18 MR. KIDMAN: My answer is that I believe that we should
19 -- I don't have objections to taking this panel for
20 cross-examination first, but I do have objections to rushing
21 along so that Mr. Hill can get out the door.

22 MR. HITCHINGS: Can I respond to that, please, Mr.
23 Chair?

24 H.O. BAGGETT: Yes.

25 MR. HITCHINGS: Mr. Hill will be available tomorrow.

1 He will be back here. And I have to take issue with
2 counsel's statement about me pressing this along. That was
3 not my decision. My clients --

4 H.O. BAGGETT: Determination by the Hearing Officer,
5 not by anybody else. I made that determination. I didn't
6 want to wait three and a half more months.

7 MR. HITCHINGS: Correct. And I also want to note,
8 given the amount of time it's taken to get to hearing on
9 this, that weighed into my client's decision as to whether
10 we were going to object to a continuance of the hearing for
11 a few more months.

12 H.O. BAGGETT: Other parties, let's just take -- let's
13 just do it in order. We will do this panel, go one through
14 three, and see where we get. If he is coming back tomorrow
15 we can think about that.

16 MR. HITCHINGS: Thank you.

17 H.O. BAGGETT: With that, Department of Fish and Game.

18 ----oOo----

19 CROSS-EXAMINATION OF FIRST PANEL

20 VICTOR VALLEY WASTEWATER RECLAMATION AUTHORITY

21 BY DEPARTMENT OF FISH AND GAME

22 BY MS. MURRAY

23 MS. MURRAY: Mr. Gallagher, start with you.

24 In your testimony at Page 10 you acknowledge that a
25 significant riparian habitat exists in the Transition Zone

1 of the Mojave River now, and that habitat has historically
2 existed; is that correct?

3 MS. GALLAGHER: Yes.

4 MS. MURRAY: You state that original source of water
5 for the habitat was primarily groundwater that discharged to
6 the river; is that correct?

7 MR. GALLAGHER: Groundwater that discharged to the
8 river and that was also forced to the surface of the river
9 by the geology of the area.

10 MS. MURRAY: So it is your testimony that at least
11 historically groundwater was flowed to the river and
12 provided water for the significant riparian habitat?

13 MR. GALLAGHER: Yes.

14 MS. MURRAY: On Page 11 of your testimony you make a
15 reference to the Biological Resources Trust Fund created by
16 the judgment, correct?

17 MR. GALLAGHER: What paragraph are we in?

18 MS. MURRAY: Thirty.

19 MR. GALLAGHER: Yes.

20 MS. MURRAY: And you state in part that DFG can ensure
21 via the terms of the judgment in the Mojave Adjudication
22 that any environmental concerns related to the Transition
23 Zone are addressed; is that correct?

24 MR. GALLAGHER: That is my understanding. I'm
25 certainly not an expert on the Mojave Adjudication, but that

1 is my understanding, yes.

2 MS. MURRAY: And under the judgment do you know how
3 much money is paid to the Biological Resources Trust Fund?

4 MR. GALLAGHER: My understanding is that it is 50 cents
5 per acre-foot.

6 MS. MURRAY: That's correct.

7 Do the assessments stop being collected when the
8 Biological Resources Trust Fund hits a certain amount?

9 MR. GALLAGHER: My understanding, when it hits a
10 million dollars it will stop.

11 MS. MURRAY: Correct.

12 Are there any other limitations upon collection of the
13 assessment for the Biological Resources Trust Fund?

14 MR. GALLAGHER: If there are, I am not aware of them.

15 MS. MURRAY: Do you know what the current balance of
16 the trust fund is?

17 MR. GALLAGHER: My understanding is somewhere in the
18 neighborhood of \$600,000.

19 MS. MURRAY: Just a second.

20 So your understanding is that in the neighborhood of
21 600,000?

22 MR. GALLAGHER: Again, I am not expert. I heard that
23 secondhand. I haven't seen it in writing myself.

24 MS. MURRAY: If I told you it was much closer to
25 500,000, would that seem like it's in the ballpark?

1 MR. GALLAGHER: I wouldn't have a problem with it.

2 MS. MURRAY: Is the Biological Resources Trust Fund
3 held by water master who must approve any expenditure out of
4 the fund before DFG can, in fact, expend any of the money?

5 MR. GALLAGHER: I do not know.

6 MS. MURRAY: Mr. Hill, do you know?

7 MR. HILL: That's my understanding.

8 MS. MURRAY: So it is not just DFG deciding what it
9 wants to do concerning the environmental concerns in the
10 Transition Zone; it must be approved by the water master and
11 spent according to judgment; is that correct, Mr. Hill?

12 MR. HILL: It is my understanding that there is an
13 obligation to produce a public report that would specify how
14 the moneys would be spent, and that report has not yet been
15 prepared.

16 MS. MURRAY: That the Department of Fish and Game makes
17 that report and the water master is actually the one that
18 holds the funds and doles out any money from those funds?

19 MR. HILL: That is correct.

20 MS. MURRAY: Back to you, Mr. Gallagher. If you could
21 please turn to VVWRA Exhibit 1H, the rate schedule at the
22 back of the exhibit. This is the rate schedule included in
23 the agreement between VVWRA and the City of Victorville for
24 the purchase of treated wastewater?

25 MR. GALLAGHER: It is going to take me a few minutes.

1 MS. MURRAY: I know it is hard with those dividers,
2 yes.

3 Looking at the rate schedule, the highest amount of the
4 140 feet, \$65.21?

5 MR. GALLAGHER: That's correct.

6 MS. MURRAY: Now assuming that VVWRA dedicates 2,000
7 acre-feet annually to the Mojave River and DFG desires to
8 purchase 6,500 acre-feet to make it 8,5000 feet we assert is
9 needed to maintain significant riparian habitat that you
10 referred to in your testimony, let's walk through what it
11 would cost according to your rate schedule in VVWRA Exhibit
12 1H for 6,500 acre-feet times \$65.21 per acre-feet.

13 Does it seem reasonable? I don't know if you have a
14 calculator.

15 MR. GALLAGHER: One thing that is important here that
16 this figure for the unit cost includes a cost of pumping to
17 SCLA. SCLA is hydraulically approximately 250 or 300 feet
18 higher than our treatment plant. It takes a significant
19 amount of energy to pump that water all the way up to the
20 golf course. For our discharge to the Mojave River,
21 obviously, we don't have to pump that. There would not be a
22 cost of pumping associated with deliveries to the river.

23 MS. MURRAY: Even though we have not heard an amount,
24 what you are saying today is it would be lower than 65.20?

25 MR. GALLAGHER: If you'll notice on this exhibit the

1 rate shown includes \$35 per acre-foot for revenue for the
2 water. The rest of this rate includes the electricity to
3 pump it there and also maintenance on the pumping system.
4 So in the absence of those costs the cost for this water
5 would be \$35 an acre-foot.

6 MS. MURRAY: And if -- are you aware of the cost of
7 buying State Water Project water?

8 MR. GALLAGHER: Yes.

9 MS. MURRAY: The cost currently at Rock Spring is to be
10 approximately \$171 an acre-foot. Does that sound correct?

11 MR. GALLAGHER: Apparently, yes.

12 MS. MURRAY: In buying 6,500 acre-feet at \$171 per
13 acre-foot, roughly \$1,105,00 per year, does that sound
14 about correct?

15 MR. GALLAGHER: If you say so.

16 MS. MURRAY: And in your testimony you say that you
17 might be willing to sell to the Department of Fish and Game
18 2,000 acre-feet. And are you now saying that some of that
19 would be \$35 an acre-foot?

20 MR. GALLAGHER: It is important to know that this cost
21 of \$35 per acre-foot is subject to review by our Board of
22 Commissioners on an annual basis. That rate was established
23 based on the value of water today or at the time this was
24 written in the Victor Valley; and I think it is important to
25 note that at the time this was written preproduction

1 allowance was still available in the Victor Valley on lease
2 for less than \$50 an acre-foot.

3 Certainly, we could not establish a value for reclaimed
4 water that was greater than what preproduction allowance was
5 available for. Now the cost of preproduction allowances
6 continue to increase. I understand now it is in the
7 neighborhood of about \$75 an acre-foot, maybe less. I am
8 not -- I don't buy water, unlike Randy, and I hear a lot of
9 these things secondhand.

10 Our Board would consider the value of water based on
11 the value of potable drinking water as an alternate source
12 in the Victor Valley.

13 MS. MURRAY: It is basically your testimony that you
14 think the cost would possibly be higher than \$35 an
15 acre-foot, given the fact that the FPA has increased?

16 MR. GALLAGHER: That would be a decision by my Board of
17 Commissioners based on reviewing a lot of evidence, and I
18 can't comment on that without my Board deciding.

19 MS. MURRAY: Exhibit 1L is the CH2MHill report, at
20 Page 12.

21 MR. GALLAGHER: This one I found. Okay.

22 MS. MURRAY: At Page 12 of the CH2MHill report
23 concludes that the use of reclaimed water may increase the
24 TDS concentration in the groundwater in the upper aquifer by
25 16 to 82 milligrams per liter depending on, and I am

1 quoting, a blend of groundwater and return flow used; is
2 that correct?

3 MR. GALLAGHER: Yes. The important thing, though, is
4 that this report also looked at the time we were
5 anticipating the City of Adelanto leaving our Joint Powers
6 Authority agreement. The City of Adelanto's flow contains
7 significantly high TDS values than the sewage we were
8 obtaining from the other member entities. Since the time
9 the City of Adelanto has left our Joint Powers Authority,
10 our 12 month average TDS is now less than 300 milligrams per
11 liter.

12 At the time we were preparing this document, our TDS
13 was approximately 440 milligrams per liter. We have seen a
14 significant drop in TDS since 1998 when the City of Adelanto
15 left. If that would impact this, certainly the amount of
16 TDS in the water that would be applied to the golf course at
17 SCLA would be far less than what was he even evaluated in
18 this report.

19 MS. MURRAY: Have you received anything in writing from
20 the LaHontan Regional Water Quality Control Board after
21 submitting this report to the Regional Board about
22 compliance with State Water Resources Control Board
23 antidegradation reuse issue?

24 MR. GALLAGHER: I received correspondence just this
25 past week, and I don't have a copy of it. At the time we

1 submitted this, we did not receive a reply from them.

2 MS. MURRAY: Have you received a permit from the
3 LaHontan Board?

4 MR. GALLAGHER: The permitting process we would have to
5 apply for waste discharge requirements from the LaHontan
6 Regional Board. We were waiting to finish this proceeding
7 to obtain permission for our petition before we proceeded
8 with the application for waste discharge requirements.

9 MS. MURRAY: Does VVWRA expect the golf course to use
10 all return flow or, in fact, a blend of groundwater and
11 return flow?

12 MR. GALLAGHER: Well, I think the question was on golf
13 courses. My understanding is sometimes the greenskeepers
14 like to use potable water for the greens because the grass
15 sometimes is more sensitive to high salt concentration. I
16 am not aware for sure of exactly whether they would continue
17 to use potable water for the greens and reclaimed for the
18 fairways or if they would use reclaimed water for the entire
19 golf course. I don't know the answer to that question.

20 MS. MURRAY: Do you expect that VVWRA will be
21 delivering more water to the golf course in the summer than
22 in the winter?

23 MR. GALLAGHER: Certainly transpiration losses are
24 greater in the summer, yes. Generally the demand for water
25 is more in the summer months.

1 MS. MURRAY: More water to the golf courses in the
2 summer than in fall or spring?

3 MR. GALLAGHER: Dependent on the weather. It all
4 depends on what Mother Nature brings us.

5 MS. MURRAY: Do you have any idea how much more water
6 in the summer than in the other seasons of the year?

7 MR. GALLAGHER: I do have some values that the city
8 provided to us, but, again, that was based on an average of
9 about 3- to 400 acre-feet per year. During the summer
10 months the quantities were greater. I don't have that
11 information with me today.

12 MS. MURRAY: You're planning for water deliveries in
13 the summer to increase vis-a-vis seasons of the year?

14 MR. GALLAGHER: That would be true, yes.

15 MS. MURRAY: Mr. Hill, in your testimony you briefly
16 described the makeup water obligation of the Alto sub area
17 where VVWRA is located and the makeup water obligation to
18 the downstream subareas, Centro and Baja. You mentioned the
19 2001 ration for buying unused FPA Centro for that
20 obligation. Do you recall that?

21 MR. HILL: Yes.

22 MS. MURRAY: If a producer in Alto buys unused FPA
23 Centro to help make his or her obligation, under the
24 judgment does the producer actually receive real water or a
25 credit?

1 MR. HILL: He receives a credit. The water is not
2 physically transferred from the Centro basin to the Alto
3 basin.

4 MS. MURRAY: A credit is given for real water in the
5 river or in the Transition Zone, correct?

6 MR. HILL: That's correct.

7 MS. MURRAY: Is there a turnout from the State Water
8 Project or water master real delivery, real water delivery
9 point in the Transition Zone?

10 MR. HILL: There is one proposed and being discussed.
11 There is not one at this time. Historically there was going
12 to be construction of a Transition Zone discharge point, but
13 that project was scuttled.

14 MS. MURRAY: In your testimony you give amounts for
15 cost of buying makeup water. You revised them for this
16 year. Has the water master, in fact, indicated what the
17 cost for the makeup water would be for the next year?

18 MR. HILL: It's speculative because the water master
19 has not yet made a decision. In their December 6th agenda
20 they are suggesting that the Alto subarea makeup obligation
21 be set equal to the Hodge recharge basin cost, which has
22 already been approved by Mojave Water Agency as \$227 an
23 acre-foot. That was by action of their board on 11/29.

24 MS. MURRAY: Is it fair to say that the cost of both
25 real water and makeup water obligation will increase every

1 year?

2 MR. HILL: I suspect you will see a state of increase
3 of water rights in Alto subarea.

4 MS. MURRAY: No further questions of this panel.

5 H.O. BAGGETT: Thank you.

6 Jess Ranch Water Company, Mr. Ledford.

7 ---oOo---

8 CROSS-EXAMINATION OF FIRST PANEL

9 VICTOR VALLEY WASTEWATER RECLAMATION AUTHORITY

10 BY JESS RANCH WATER COMPANY

11 BY MR. LEDFORD

12 MR. LEDFORD: Good morning.

13 Mr. Patterson, can you explain to me the composition of
14 your Board of Commissioners?

15 MR. GALLAGHER: For me? Okay.

16 My Board of Commissioners --

17 MR. LEDFORD: Mr. Gallagher.

18 MR. GALLAGHER: That's okay.

19 My Board of Commissioners is comprised of
20 representatives from member entities. Right now that
21 includes the town of Apple Valley, the City of Victorville,
22 the City of Hesperia, the County of San Bernardino Service
23 Areas 42 and 64.

24 MR. LEDFORD: Can you tell me are each of those member
25 entities stipulating parties to the judgment?

1 MR. GALLAGHER: I believe at least one of them is,
2 yes.

3 MR. LEDFORD: Which one is that?

4 MR. GALLAGHER: I know the County of San Bernardino is
5 a stipulated party. So is City of Hesperia.

6 MR. LEDFORD: That is two.

7 Mr. Hill, do you know if the City of Victorville is?

8 MR. HILL: The City of Victorville is a stipulated
9 party.

10 MR. LEDFORD: The town of Apple Valley?

11 MR. HILL: That one I don't know.

12 MR. LEDFORD: Mr. Patterson, do you know?

13 MR. PATTERSON: No, I don't.

14 MR. LEDFORD: I'll represent to you that all of your
15 commissioners who sit on your board are stipulating parties
16 to the judgment.

17 MR. HITCHINGS: I am going to object to this. Mr.
18 Ledford is not a witness. He is asking questions.

19 H.O. BAGGETT: I would sustain that. You will have an
20 opportunity shortly to make that.

21 MR. LEDFORD: One of your exhibits is the judgment.
22 You stated you're knowledgeable about that. Can you tell me
23 where in the judgment that it states that the Victor Valley
24 Wastewater Reclamation authority has the right to transfer
25 or sell water?

1 MR. GALLAGHER: I think I should clarify. I also said
2 I am not an expert on the Mojave Adjudication, and I do not
3 know the entire content of that document.

4 MR. LEDFORD: You submitted it as one of your exhibits
5 that you are here to testify about?

6 MR. GALLAGHER: That's correct.

7 MR. LEDFORD: Can you tell me, to your knowledge, is
8 there any place in that document where it provides that
9 VVWRA has the right to transfer or sell any water?

10 MR. GALLAGHER: To my knowledge, there is no place in
11 the document that stipulates us to do anything.

12 MR. LEDFORD: Are you a resident of the Victor Valley?

13 MR. GALLAGHER: Yes, I am.

14 MR. LEDFORD: As a resident of the Victor Valley, if
15 you had a piece of property you wanted to drill a well on to
16 begin producing water, would you become a party to the
17 judgment?

18 MR. GALLAGHER: To my knowledge, that would depend on
19 whether I was going to be a minimal producer or an actual
20 producer of more than ten acre-feet a year.

21 MR. LEDFORD: Nevertheless, whether you are a minimal
22 producer or more than a minimal producer, would you not be
23 bound by the terms of the judgment if you began producing
24 water?

25 MR. GALLAGHER: My assumption is the judgment would

1 apply to anyone producing water in the basin, so I suppose
2 that, yes, I would.

3 MR. LEDFORD: Isn't it also true that the judgment was
4 a stipulated judgment, it was in essence a contract among
5 the parties, for the most part?

6 MR. GALLAGHER: My understanding, yes.

7 MR. LEDFORD: That the parties envisioned that water
8 production and use would, under the terms of this document,
9 would eventually balance the basin?

10 MR. GALLAGHER: I can't answer that question. I don't
11 know.

12 MR. LEDFORD: Mr. Hill, can you answer that.

13 MR. LILLY: Yes, there was the concept that return flow
14 would eventually heal the basin.

15 MR. LEDFORD: And is the water that is discharged from
16 the VVWRA considered return flow?

17 MR. HILL: Not the type of return flow that would heal
18 the basin. The solution to healing the basin was from
19 return or imported water or new water supplies, not
20 necessarily from the benefit of return flow of groundwater.

21 MR. LEDFORD: I believe it is in your testimony, but I
22 could be wrong, but wasn't the adjudication based on an
23 average of 50 percent consumptive use?

24 MR. HILL: There is an assumption within the
25 adjudication that municipal and industrial and agricultural

1 groundwater production will see 50 percent of the produced
2 water return to the basin through direct return flow, deep
3 water percolation or through sewage return flow.

4 MR. LEDFORD: You have talked about -- back to Mr.
5 Gallagher. You have talked about the reason, one of the
6 reasons that you're developing this plan is to generate
7 revenue to reduce or perhaps not reduce, not increase the
8 user rate to your customers; is that correct?

9 MR. GALLAGHER: That's correct. Any revenue that we
10 generate from the sale of reclaimed water would be used to
11 offset the cost of sewage treatment for the sewage customers
12 of the Valley.

13 MR. LEDFORD: Is there any other reason that you would
14 be doing this, any other reason other than to reduce the
15 rate to your customers?

16 MR. GALLAGHER: I believe our Board of Commissioners
17 feels that this is a beneficial reuse if we use it to offset
18 the use of potable water for nonpotable uses.

19 MR. LEDFORD: You state that you're offsetting the use
20 of potable water. You discharge water immediately to the
21 river; is that correct?

22 MR. GALLAGHER: Can you define immediately?

23 MR. LEDFORD: Immediately outside, you have a discharge
24 point that is outside of the treatment plant that is
25 immediately to the river. Does that go through another

1 process?

2 MR. GALLAGHER: Through another process? I don't
3 understand your question.

4 MR. LEDFORD: My question: You process, the VVWRA
5 processes the sewage flow and treats it to a level that is
6 discharged to the river in accordance with water quality
7 standards. Is that your statement?

8 MR. GALLAGHER: That's correct.

9 MR. LEDFORD: If I happen to own the next piece of
10 property down the river from that discharge point and I had
11 a well and I produce water from that well, would my water
12 quality be affected by your discharge water?

13 MR. GALLAGHER: My assumption would be yes.

14 MR. LEDFORD: Would it be a positive benefit or
15 negative benefit?

16 MR. GALLAGHER: I am very proud of the quality of
17 water that we produce and that we discharge to the river.

18 MR. LEDFORD: If I owned the very next piece of
19 property down river from your treatment plant and I pumped
20 the water and I put it into my sink, would it be drinking
21 water?

22 MR. GALLAGHER: Our effluent is not intended to be
23 drinking water.

24 MR. LEDFORD: If I had the very next piece of property
25 downstream and I produced it from my well -- I have a well

1 that is the very next piece of property down river from
2 your discharge point and I pump water from my well, is it
3 going to be drinking water quality?

4 MR. GALLAGHER: A lot of that would depend on the
5 construction of your well, how far down you were pumping
6 water. Obviously if you were pumping water that is
7 contiguous with the river it would be more heavily
8 influenced to the river, it would be more heavily influenced
9 by the river than it would be if you were pumping water from
10 several hundred feet down. A lot of that depends on how far
11 away from the river your well is.

12 MR. LEDFORD: Given that set of circumstances, how far
13 down the river would I have to be before the water that
14 infiltrates into the river basin becomes drinking water?

15 MR. GALLAGHER: I don't have an answer to that
16 question.

17 MR. LEDFORD: More than a half mile?

18 MR. GALLAGHER: I don't know.

19 MR. LEDFORD: You don't know.

20 At some point would the water that is being discharged
21 from your plant into the river become drinking water?
22 Through infiltration, a combination of river flow and
23 infiltration does it then become groundwater and thus
24 produce water that is drinking water standards?

25 MR. GALLAGHER: I would agree with that.

1 MR. LEDFORD: Would you agreed with me that the water
2 that is being discharged to the river is beneficial use of
3 the water?

4 MR. GALLAGHER: Certainly beneficial use.

5 MR. LEDFORD: At some point all of that water being
6 discharged to the river becomes water that can be produced
7 for drinking water?

8 MR. GALLAGHER: Possibly, yes.

9 MR. LEDFORD: So in reality the fact that you would
10 like to be able to transfer the water to George Air Force
11 Base to water a golf course because that water is not
12 necessarily drinking water standard at the very point of
13 discharge, is not a good argument because the total amount
14 of water that is discharged becomes drinking water at some
15 point?

16 MR. HITCHINGS: Objection. That is argumentative.
17 Doesn't necessarily state a question.

18 H.O. BAGGETT: Sustained.

19 MR. LEDFORD: Would you agree with me that -- I'll
20 forget that question.

21 MS. MURRAY: I think it a very good question. If Mr.
22 Ledford needs another minute to rephrase the question --

23 H.O. BAGGETT: Fish and Game already had their chance.

24 MR. LEDFORD: Thank you for the coaching.

25 H.O. BAGGETT: Mr. Ledford.

1 MR. LEDFORD: I am working on it.

2 Back to the dollars and cents. Based on your contract
3 with the City of Victorville, which I understand is a
4 ten-year contract, my understanding from reading the
5 contract it establishes, I believe, in the first five years
6 of the contract a \$35 acre-foot number cannot be changed; is
7 that true?

8 MR. GALLAGHER: I believe that is correct. The \$35 per
9 acre-foot is the amount per acre-foot that is revenue. We
10 would adjust or could adjust the cost of pumping, which, of
11 course, would vary with electric rates.

12 MR. LEDFORD: At \$35 an acre-foot if you were to
13 produce 1,600 acre-feet of water, how much revenue does that
14 generate for the VVWRA?

15 MR. GALLAGHER: I don't have a calculator with me.

16 MR. LEDFORD: About?

17 MR. GALLAGHER: I don't -- without a calculator I don't
18 know. Actually, a thousand acre-feet that \$35 would be
19 \$35,000 revenue.

20 MR. LEDFORD: Maybe \$50,000?

21 MR. GALLAGHER: That is correct.

22 MR. LEDFORD: How much would you reduce your sewer rate
23 to your customers based on that amount of revenue?

24 MR. GALLAGHER: I don't have an answer for that
25 question because we have not increased our rates for eight

1 years. Even though the cost of inflation has greatly
2 increased our cost of operation, we have been able to
3 maximize efficiency of the treatment plant by putting in
4 computer controls and things like that, and cutting cost
5 everywhere that we can.

6 But, certainly, over time without any other change one
7 of these days we are going to have to raise our rates. One
8 thing our Board has looked at is if we generate a source of
9 revenue, such as the sale of reclaimed water, we can
10 potentially delay or eliminate the need to increase rates in
11 the future. Whether that could possibly be substantial
12 enough to cause a decrease in the rate would depend on how
13 much water we were able to market and what the value of that
14 water would be.

15 MR. LEDFORD: Is your answer you simply don't know the
16 answer to that question, you don't know what the affect on
17 -- we have roughly a thousand connections in the Jess Ranch.
18 We have some 1,400 senior households at Jess Ranch. We
19 certainly would be interested in whether or not you generate
20 revenue, whether or not that would reduce the rates, sewer
21 rates, for them or prevent them from going up, because we
22 have at least Mr. Hill's testimony that it is going to cost
23 \$4.00 a year to his customers.

24 MR. HITCHINGS: I am going to move to strike that.
25 There is no question.

1 H.O. BAGGETT: There is no question. You will get an
2 opportunity in your case in chief momentarily. This is
3 cross-examination of testimony given.

4 MR. LEDFORD: I will get it. I am not a lawyer.

5 Would you agree with Mr. Hill that it is going to cost
6 his customers more money in the event that you take water
7 out of the river?

8 MR. GALLAGHER: Mr. Hill presented testimony to that
9 effect, yes.

10 MR. LEDFORD: You are not prepared to give any
11 testimony as to how much it would either reduce the sewer
12 rate or prevent the sewer rate from going up at this time?

13 MR. GALLAGHER: We have in our adopted budget for the
14 next year a certain amount of revenue that we will be
15 collecting from the sale of reclaimed water, but that is a
16 very limited amount. We have not budgeted for this project
17 because we didn't know for sure if the project would be
18 approved or when it would be approved.

19 So I don't have a handle on how much revenue that is
20 going to generate or how that is going to impact our rates.
21 I don't know years in advance. I don't have a crystal ball
22 to tell me what my costs are going to be in the next five
23 years or what my revenues are going to be.

24 MR. LEDFORD: What was your O&M cost for the last
25 fiscal year?

1 MR. GALLAGHER: My cost for \$2.8 million for general
2 O&M. We also spent about a half a million dollars on repair
3 and replacement of existing equipment, and then we had a
4 capital improvement budget because of our construction.

5 MR. LEDFORD: Just a straight O&M, if you were to get
6 a credit toward the O&M, that would be a very -- that is
7 assuming that you're going to sell the entire 1,600
8 acre-feet, \$35 an acre-feet. It seems a very small amount
9 of money.

10 MR. HITCHINGS: Move to strike. Again, I don't hear a
11 question there. And Mr. Ledford again is testifying. I
12 understand that this isn't something he does all the time.

13 H.O. BAGGETT: I wasn't until recently, until a few
14 minutes ago. The purpose here is to ask questions. You
15 will get an opportunity later to make your comments and to
16 do just closing and argue where you want to go with this.
17 At this point if you can --

18 MR. LEDFORD: I have a question. My question is: How
19 much is it possible to affect your rate?

20 MR. GALLAGHER: Every little bit counts. We conserve
21 spending money as much as we possibly can. I may save
22 \$20,000 this year in chlorine addition by optimizing that
23 within the computer system. That is a real savings to us.
24 Every little bit that we can put together to hold down
25 sewage increases is very important to our Authority.

1 MR. LEDFORD: \$50,000 was -- \$35 was pretty much our
2 maximum number; is that correct?

3 MR. GALLAGHER: For the SCLA project.

4 MR. LEDFORD: Have you purchased the pump for this
5 project?

6 MR. GALLAGHER: No, not yet.

7 MR. LEDFORD: Have you budgeted money to purchase the
8 pumps?

9 MR. GALLAGHER: We have it shown in our budget, yes.

10 MR. LEDFORD: How much?

11 MR. GALLAGHER: About \$200,000 to buy the pump and the
12 controls?

13 MR. LEDFORD: No, part of the pipeline?

14 MR. GALLAGHER: Just the pumping system.

15 MR. LEDFORD: Can you tell me what the maximum capacity
16 of those pumps are?

17 MR. GALLAGHER: The pumps were sized to pump the one
18 and a half million gallons between 11 p.m. and 6 a.m., which
19 are the off-peak hours for Edison Electric who are our
20 utility. What we intended to do was all of our pumping
21 during off-peak hours, that was also going to coincide with
22 the application of water on the golf course during off-peak
23 hours so they could likewise save money.

24 MR. LEDFORD: The size of the pump?

25 MR. GALLAGHER: It was a 250 horsepower pump.

1 MR. LEDFORD: How many?

2 MR. GALLAGHER: Two.

3 MR. LEDFORD: Can you tell me what the rate of
4 capacity of each of those pumps is in gallons per minute?

5 MR. GALLAGHER: I believe they're about 5,000 gallons a
6 minute.

7 MR. LEDFORD: Two of them would be 10,000?

8 MR. GALLAGHER: We put in two pumps for redundancy
9 purposes. Because if I have one pump down for maintenance,
10 I want to be able to provide water for the golf course.

11 MR. LEDFORD: What size pipeline?

12 MR. GALLAGHER: The exhibit we had showed an 18-inch
13 pipeline, and it may actually be 16-inch.

14 MR. LEDFORD: It has not been designed yet?

15 MR. GALLAGHER: It's been designed, and actually that
16 question should probably be posed to Mr. Patterson because
17 the city is planning on designing and capitalizing the
18 pipeline itself.

19 MR. LEDFORD: I guess my question to you is, 5,000
20 gallons per minute, how much water can you put through that
21 pipeline during the off-peak hours? I believe that it is --
22 strike I believe.

23 H.O. BAGGETT: Thank you.

24 MR. LEDFORD: How many gallons of water can you put
25 through that pipeline at off-peak hours?

1 MR. GALLAGHER: The intention was to move one and a
2 half million gallons in about a seven-hour period.

3 MR. LEDFORD: So you are saying that is all, 5,000
4 gallons a minute, is that all the water that you can move
5 through that pipeline during the off-peak period?

6 MR. GALLAGHER: I don't understand the question.

7 MR. LEDFORD: My question to you is: 5,000 gallons a
8 minute during that seven-hour off-peak period. So the
9 maximum amount of water that can be put through that
10 pipeline is a maximum of one and a half --

11 MR. GALLAGHER: The maximum amount you can put -- well,
12 if both pumps were used, more water could be pushed through
13 the pipeline.

14 MR. LEDFORD: I am talking one --

15 MR. PATTERSON: The point is the agreement that the
16 City of Victorville has with VVWRA is to provide up to 1.5
17 million, no more.

18 MR. LEDFORD: Mr. Patterson, I am going to ask you
19 about surplus capacity.

20 H.O. BAGGETT: How much longer do you think you are
21 going to be? I have something to --

22 MR. LEDFORD: I am going to be considerably longer with
23 these witnesses. This is their case in chief. These target
24 witnesses.

25 We can take a break for lunch if you like, sir.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSION

---oOo---

H.O. BAGGETT: We are back in session. Let's continue where we left off.

MR. LEDFORD: As a sidetrack, I asked you a question earlier if you wanted to produce water as an individual and you were not a party to the judgment, could you do that?

MR. GALLAGHER: I don't know.

MR. LEDFORD: You don't know.

Would it be possible to refer you to your Exhibit 11, Figure 1? You actually had an overhead of that.

MR. GALLAGHER: Okay.

MR. LEDFORD: It would probably be helpful to others if you put it back up.

MR. GALLAGHER: Put it back up.

MR. LEDFORD: Could you explain to us the alignment of the pipeline and the location of the lake? Is this an accurate depiction of the pipeline?

MR. GALLAGHER: The only deviation that I know of that may be made, the pipeline as shown right now cutting through what used to be the residential area of the old Air Force Base. It may actually follow Nevada, which I think is this trace over here, before it comes down to the pond. But this is the pond at the golf course that the water would be pumped into and used for the irrigation.

1 MR. LEDFORD: Can you explain to us, to the extent that
2 you know, what the existing pond configuration is and what
3 it is intended to be when the pipeline is finished?

4 MR. GALLAGHER: The existing pond is about two acres or
5 maybe three acres, just a round earthen pond. I don't even
6 know how deep it is.

7 MR. LEDFORD: Is it lined?

8 MR. GALLAGHER: I don't know for sure.

9 MR. LEDFORD: Do you know when the pond is finished if
10 it is intended to be lined?

11 MR. GALLAGHER: I -- can you answer that?

12 MR. PATTERSON: Yes. The pond as it exists today is
13 something that we inherited from the Air Force. It will
14 need to be improved.

15 MR. LEDFORD: The question is: Will it be lined when
16 it is finished?

17 MR. PATTERSON: Yes.

18 MR. LEDFORD: Does -- I believe that somebody, one of
19 you testified that there would be a waste discharge permit
20 required for this point of discharge?

21 MR. GALLAGHER: That's correct. We would have to have
22 waste discharge requirements, yes.

23 MR. LEDFORD: Now, are you familiar with a project
24 called High Desert Power Project?

25 MR. GALLAGHER: Yes.

1 MR. LEDFORD: Can you show us where on this plan where
2 that project is proposed to be built?

3 MR. GALLAGHER: I don't know.

4 MR. LEDFORD: Mr. Patterson, do you know the answer to
5 that question?

6 MR. PATTERSON: I believe that project is somewhere in
7 this location.

8 H.O. BAGGETT: Explain, so it is on the record, what
9 you are pointing at, what area east of --

10 MR. PATTERSON: It is an area that would be to the east
11 of the runways. It would be along the ridge line.

12 MR. LEDFORD: Could you stay up there for just a
13 minute?

14 Are you familiar with a pipeline that is proposed to
15 provide water service to that project?

16 MR. PATTERSON: I am not familiar with it. I know
17 there is a pipeline, but it is a different project than
18 this.

19 MR. LEDFORD: You have no knowledge whatsoever about
20 that High Desert Power Project?

21 MR. PATTERSON: I didn't say that.

22 MR. LEDFORD: Do you have any knowledge that you can
23 share with us about the water pipeline that will serve that
24 project?

25 MR. PATTERSON: I know that there is a project that the

1 city is working with Mojave Water Agency on to provide water
2 for the power project.

3 MR. LEDFORD: Are you aware of a pipeline that is going
4 to service that project?

5 MR. PATTERSON: No, I am not.

6 MR. LEDFORD: You don't know the size of the line?

7 MR. PATTERSON: No.

8 MR. LEDFORD: You don't know the location of the line?

9 MR. PATTERSON: Not exactly, no.

10 MR. LEDFORD: Randy, are you familiar with that?

11 MR. HILL: Yes, I am.

12 MR. LEDFORD: Perhaps you could go up to the chart and
13 tell --

14 MR. HILL: I will do it from here. I have the
15 pointer.

16 MR. LEDFORD: Thank you.

17 Can you -- maybe you can explain where the 24-inch
18 pipeline is in relation to this pipeline.

19 MR. HILL: It is my understanding that there will be a
20 24-inch pipeline constructed from the Mojave River pipeline,
21 which is up here somewhere. The turnout would come down
22 into this general area where there would be a water
23 treatment plant, and then that would serve the power
24 project.

25 MR. LEDFORD: Your understanding is that the line is a

1 24-inch pipeline?

2 MR. HILL: Yes, that is my understanding.

3 MR. LEDFORD: Would it run parallel to the proposed
4 18-inch pipeline that is part of the --

5 MR. HILL: It looks like it would be parallel, at least
6 a portion.

7 MR. LEDFORD: Are you familiar with a new project that
8 the Mojave Water Agency is now exploring to put an 18-inch
9 pipeline connecting to that 24-inch pipeline?

10 MR. HILL: Yes. There are several alternatives that
11 have been discussed at Mojave Water Agency that would extend
12 that pipeline down to the Transition Zone.

13 MR. LEDFORD: The reason for extending the 24-inch
14 pipeline with the 18-inch pipeline to the transition zone
15 is?

16 MR. HILL: Would be to have an additional place to put
17 water into the Transition Zone.

18 MR. LEDFORD: Is the Transition Zone in overdraft in
19 that area?

20 MR. HILL: There is a pumping depression from existing
21 groundwater, so I would say yes.

22 MR. LEDFORD: And that area is about how far above the
23 VVWRA plant? Anybody that wants to answer.

24 MR. HILL: I don't know the answer.

25 MR. GALLAGHER: I know in discussions with Norm

1 Caouette from Mojave Water Agency there is a couple
2 different locations that might be utilized for
3 that. They've looked at locations below the Lower Narrows
4 gauge, or I should say below the bridge at the Lower
5 Narrows, extending a little bit farther north. Depends on
6 exactly where it is put.

7 MR. LEDFORD: Mr. Gallagher, back to you.

8 Are you familiar with a 24-inch turnout of the Mojave
9 River pipeline, the one that Mr. Hill just described as
10 being on the northerly part of this exhibit?

11 MR. GALLAGHER: I am familiar with it only from the
12 extent that talking to Mojave Water they were exploring the
13 possibility of putting a turnout connected to the river.

14 MR. LEDFORD: Are you familiar with the fact that the
15 Mojave Water Agency at one point in time had a pipeline
16 designed to go into the Transition Zone very close to the
17 VVWRA facility?

18 MR. GALLAGHER: I am very familiar with that.

19 MR. LEDFORD: Can you tell us what happened?

20 MR. GALLAGHER: Our agency filed a lawsuit against the
21 Mojave Water Agency because we felt that we had some
22 significant concerns. The pipeline was going to be
23 constructed and put State Project water into the river
24 between our downstream and upstream water quality monitoring
25 stations. And we are required to have those two stations by

1 our permit, our NPDES permit with the LaHontan Regional
2 Board. And essentially what we have to do, if there is any
3 impact on the river as evidenced by an analysis from the
4 upstream and downstream water quality stations, then we are
5 responsible for that. The lawsuit that we filed was
6 intended to examine further the impacts to our upstream and
7 downstream water quality stations. That lawsuit was settled
8 in 1996.

9 MR. LEDFORD: Specific reason that you were concerned
10 about water quality was?

11 MR. GALLAGHER: Because the State Project water would
12 be entering the river at a point between our upstream and
13 downstream water quality stations.

14 MR. LEDFORD: Would it be a true statement that the
15 water quality of the State Project water is of less quality
16 than you discharge water?

17 MR. GALLAGHER: That was our concern.

18 MR. LEDFORD: Do you know that to be a factual
19 statement?

20 MR. GALLAGHER: What I do know is that State Project
21 water varies depending on the season, the water quality of
22 that water.

23 MR. LEDFORD: Is State Project water considered to be
24 potable water?

25 MR. GALLAGHER: No, but I know that there are agencies

1 that treat that water for potable uses.

2 MR. LEDFORD: Back to you, Randy.

3 Those two water lines are going to be running parallel,
4 one 24-inch pipeline and one 18-inch pipeline. Is there
5 surplus capacity, to your knowledge, in the 24-inch pipeline
6 to the proposed use of High Desert Power Project?

7 MR. HILL: Possibly. It depends on many factors and
8 how you define excess capacity, but possibly.

9 MR. LEDFORD: I would like to hand you what I have
10 marked as Exhibit 2 to my testimony.

11 H.O. BAGGETT: This is to cross-examine on their
12 testimony.

13 MR. LEDFORD: I understand that. This is an exhibit
14 that is cross-examining them on their testimony relative to
15 the pipeline that is proposed by Mojave Water District. He
16 just testified to it. I would like to ask him if he
17 recognizes that.

18 MR. HILL: I haven't reviewed it, but I am familiar
19 with it in concept.

20 MR. LEDFORD: Is that document a document that Mojave
21 Water Agency prepared as an overview of the 18-inch pipeline
22 that we discussed earlier?

23 MR. HITCHINGS: I am going to object. I don't believe
24 Mr. Hill has the ability to speculate on why Mojave Water
25 Agency would have or would not have prepared a document.

1 H.O. BAGGETT: I would agree.

2 MR. LEDFORD: I'll lay some foundation. I am not
3 counsel, but I think I can.

4 Mr. Hill, are you a member of the Alto Area Advisory
5 Committee?

6 MR. HILL: I am.

7 MR. LEDFORD: Was this item a topic of conversation at
8 the last Alto Area Advisory --

9 MR. HILL: It was.

10 MR. LEDFORD: -- meeting?

11 H.O. BAGGETT: Very good. Ask away.

12 MR. LEDFORD: The question -- I guess I will have to
13 reformat the question. The question is: Is this the
14 document that the Mojave Water Agency prepared as a
15 preliminary analysis of where the pipeline would be routed
16 to the Transition Zone?

17 MR. HILL: Yes, it is.

18 MR. LEDFORD: Does that document anticipate that there
19 is surplus capacity in the 24-inch water line to handle
20 this?

21 MR. HILL: It does. I should add a caveat that there
22 has been further discussion since this was produced that has
23 increased Mojave's understanding of that issue, and that is
24 that their capacity is second in priority to the Victor
25 Valley Water District's use of that pipeline.

1 MR. LEDFORD: Very good. Let's talk about that.

2 The 24-inch pipeline from the 48-inch pipeline that is
3 the aqueduct -- the Mojave River pipeline, the 48-inch
4 pipeline, correct?

5 MR. HILL: It is.

6 MR. LEDFORD: The 24-inch pipeline ties to the 48-inch
7 pipeline.

8 MR. HILL: It does. Is proposed to.

9 MR. LEDFORD: That 24-inch pipeline provides -- is
10 anticipated to provide water on an annual and
11 uninterrupted basis to the High Desert Power Project; is
12 that correct?

13 MR. HILL: Yes.

14 MR. LEDFORD: Is that project a higher priority than
15 recharging the water basin?

16 MR. HILL: I don't understand the question.

17 MR. LEDFORD: I believe that your testimony was that
18 the Victor Valley Water District had a higher priority in
19 the 24-inch pipeline than the Mojave Water Agency may have
20 in the 18-inch pipeline; is that correct?

21 MR. HILL: Maybe I should shed some light on this. The
22 24-inch pipeline that you are talking about is going to be
23 constructed, paid for by the power project specifically to
24 provide water for their project. The Mojave Water Agency is
25 in discussions with the power project to see if their agency

1 may use capacity in the power project's pipeline.

2 However, Mojave is always considering constructing
3 their own separate pipelines as one of the alternatives.

4 MR. LEDFORD: Maybe I should back up just a little.

5 Your testimony that the Mojave River Basin and the
6 Alto Basin are overdrafted?

7 MR. HILL: Yes.

8 MR. LEDFORD: In order to correct the overdraft is it
9 not going to be necessary to purchase water from the State
10 Project Water Project?

11 MR. HILL: It will be absolutely.

12 MR. LEDFORD: Can you tell this Board what the
13 entitlement to water of the VVWRA is at the present time?

14 MR. HILL: Mojave Water Agency's entitlement, including
15 an original State Project and Brenda Mesa is approximately
16 75,800 acre-foot annually.

17 MR. LEDFORD: For planning purposes, sir, what is the
18 Mojave Water Agency anticipating that their average annual
19 deliveries can be out of that entitlement?

20 MR. HILL: Mojave Water Agency feels there is a 70
21 percent average reliability of that entitlement.

22 MR. LEDFORD: At 70 percent how much water could Mojave
23 Water Agency on average deliver to the basin?

24 MR. HILL: I don't have a calculator. Take 75,800
25 times .75.

1 MR. LEDFORD: Would 52,000 be a close estimate?

2 MR. HILL: Probably.

3 MR. LEDFORD: As of the last water year that was
4 reported to the Court, what was reported as the overdraft in
5 the Mojave River Basin?

6 MR. HILL: Hang on a second. Per the sixth annual
7 report of Mojave Basin Area Water Master, which covers water
8 year 1998 to 1999, Appendix B, Summary of Obligations of the
9 Subarea, the 1998-1999 verified production for Oeste, Este,
10 Alto, the Transition Zone, Centro and Baja, the verified
11 production was 163,218 acre-feet.

12 MR. LEDFORD: The average annual production, in order
13 to reach a number that equates to the overdraft, there are
14 other things that you can refer to such as the -- disregard
15 the last question.

16 Are you familiar with a report called the Web Report?

17 MR. HILL: I think I know the report you are referring
18 to.

19 MR. LEDFORD: Is that report presented to the Kaiser
20 Court?

21 MR. HILL: It was. Yes, it was.

22 MR. LEDFORD: Do you know what his analysis of the
23 overdraft in the report was? And it could be approximate.

24 MR. HILL: I don't recall. I do recall that his
25 recommendation was that additional ramp down needs to occur

1 in each of the hydrologic basins to bring the basin into
2 balance. Substantial additional ramp down.

3 MR. LEDFORD: Going back to the exhibit and considering
4 the 24-inch pipeline and the 18-inch pipeline side by side,
5 in your professional opinion as an expert, would you
6 consider the water in the -- the reclaimed water of the
7 State Project water to be higher water quality?

8 MR. HILL: That's highly variable. But water quality
9 in the State Water Project is very variable. And it would
10 be different constituents in each. Some would be better
11 than others. There is not a clear answer to your question.

12 MR. LEDFORD: Assuming that the High Desert Power
13 Project, that there was surplus capacity in the 24-inch
14 line, could the City of Victorville run a, say, 12-inch line
15 over to the golf course to provide irrigation water?

16 MR. HILL: Can you repeat the question?

17 MR. LEDFORD: Certainly.

18 Assuming there is surplus capacity in the 24-inch
19 pipeline that is going to carry State Project water to the
20 High Desert Power Plant, could the Victor Valley Water
21 District then run a smaller pipeline to the golf course or
22 to the greenbelt for irrigation water?

23 MR. HILL: The Victor Valley Water District wouldn't
24 run that pipeline because the City of Victorville is
25 currently serving that area.

1 MR. LEDFORD: Could the City of Victorville run that
2 pipeline?

3 MR. HILL: Presumably they could.

4 MR. LEDFORD: Mr. Patterson, can you answer that?

5 MR. PATTERSON: It's possible.

6 MR. LEDFORD: When you were considering alternatives
7 for nonpotable water for use on your golf course, did you
8 ever consider using State Project water as an alternative?

9 MR. PATTERSON: The city council has looked at a
10 multitude of alternatives to provide water for the airport,
11 not only just for the golf course, but for the entire
12 airport. The city council made a determination that they
13 felt that it was more appropriate to use reclaimed water for
14 irrigation on the golf course.

15 MR. LEDFORD: Mr. Gallagher, when you did your
16 environmental impact analysis, which was a negative
17 declaration, did you study in that analysis using the
18 alternative State Project water on the golf course?

19 MR. GALLAGHER: To be honest, I don't remember.

20 MR. LEDFORD: Did your environmental analysis consider
21 the cumulative impacts of the use of water on any of these
22 other projects?

23 MR. GALLAGHER: Cumulative use of what water?

24 MR. LEDFORD: Cumulative use of any of this water that
25 is now embodied in three separate projects?

1 MR. GALLAGHER: There were environmental impacts that
2 were evaluated for the use of reclaimed water on the golf
3 course, and then we further did the antidegradation study at
4 the request of the LaHontan Regional Board.

5 MR. LEDFORD: The question to you, sir, is: Did you do
6 a cumulative impact study?

7 MR. GALLAGHER: You'll have to define cumulative impact
8 study for me.

9 MR. LEDFORD: What are the cumulative impacts of the
10 use of water and the different types of water that is going
11 to be used in this vicinity?

12 MR. GALLAGHER: We evaluated the use of reclaimed
13 water.

14 MR. LEDFORD: Only?

15 MR. GALLAGHER: Like I say, I don't even remember if we
16 even evaluated the use of project water.

17 MR. LEDFORD: Did you do a growth impact study?

18 MR. GALLAGHER: You would have to define a growth
19 impact study.

20 MR. LEDFORD: A growth impact study is a study that
21 would be included with your environmental analysis.

22 If you don't know, you can say you don't.

23 MR. GALLAGHER: I don't know 'cause I don't know what
24 you mean.

25 MR. LEDFORD: Have you ever done a study to determine

1 what the impacts on the farming community would be relative
2 to the cost of this water?

3 MR. GALLAGHER: Farming community?

4 MR. LEDFORD: Generally speaking, sir, in an
5 environmental analysis there is something called a social
6 and economic impact analysis.

7 Have you ever done economic impact analysis relative to
8 how this would affect the farming community?

9 MR. GALLAGHER: I don't know.

10 MR. LEDFORD: Have you ever sought and received from
11 the water master the approval for this change of use?

12 MR. GALLAGHER: We didn't apply for approval with the
13 water master.

14 MR. LEDFORD: Are you familiar with the MWA management
15 plan?

16 MR. GALLAGHER: I think I have a copy of it in my
17 office. I don't even know that I've cracked it open to look
18 at it.

19 MR. LEDFORD: Could I have a more definitive answer?
20 Do you know if you have cracked it or you don't think you
21 have cracked it? I have several questions, but I don't --

22 MR. GALLAGHER: I am not familiar with that document at
23 all.

24 MR. LEDFORD: You did testify earlier that it was the
25 Mojave Water Agency that originally provided the grant

1 funding to build this sewage treatment --

2 MR. GALLAGHER: They obtained the Clean Water Grant Act
3 moneys to build the original plant, yes. They didn't
4 provide them; they obtained them. There was a local match.

5 MR. LEDFORD: Are you familiar with who Chuck Wigler is?

6 MR. GALLAGHER: No.

7 MR. LEDFORD: I would like to show you a letter from
8 Victor Valley Wastewater Reclamation Authority, dated
9 December 29th, 1993. This letter is addressed to Mr. Larry
10 Rowe, and it is signed by Chuck Wigler, General Manager.

11 MR. GALLAGHER: It is Chuck Wigle, Chuck Wigle is the
12 general manager.

13 MR. LEDFORD: I'm sorry.

14 MR. GALLAGHER: You said Wigler. We didn't have a
15 Wigler, but we did have a Wigle.

16 MR. LEDFORD: In that particular letter the one -- I
17 don't have it in front of me.

18 MR. GALLAGHER: You want it back?

19 MR. LEDFORD: It states -- I am assuming that since he
20 was -- was he your predecessor?

21 MR. GALLAGHER: Yes.

22 MR. LEDFORD: Immediate predecessor?

23 MR. GALLAGHER: There was a vacancy of about a year
24 between when he left the agency and I started.

25 MR. LEDFORD: In that letter, somewhere on the first

1 page, it states that there is an immediate potential of
2 approximately 6,150 acre-feet for irrigated golf courses,
3 parks, cemeteries, freeway median strips. It goes on to say
4 that this valuable resource can also be used to recharge the
5 Alto subarea. It is, therefore, our collective
6 responsibility to utilize reclaimed water in the maximum
7 extent possible to minimize groundwater overdraft
8 potential.

9 Will you review that letter to see if that language is
10 consistent?

11 MR. GALLAGHER: You say on the first page someplace?

12 MR. LEDFORD: I believe it is.

13 Top of the second page.

14 MR. GALLAGHER: I will.

15 It appears that is what it says.

16 MR. LEDFORD: This letter was sent to Mojave Water
17 Agency prior to the judgment going into effect; is that
18 correct?

19 MR. GALLAGHER: Well, these were comments that were
20 written on the draft water management plan. I don't see a
21 reference to the adjudication here.

22 MR. LEDFORD: I understand.

23 The letter is comments relative to water management
24 plan, but you are not specifically familiar with?

25 MR. GALLAGHER: Correct.

1 MR. LEDFORD: My question to you, sir: Has the policy
2 changed at VVWRA in relation to the statement of the
3 valuable resource and also can be used to recharge the Alto
4 subarea?

5 MR. GALLAGHER: I don't know that this letter states
6 policy. It certainly -- this letter states that there is a
7 potential for irrigating golf courses, parks, cemeteries,
8 schools and freeway strips, and it also addresses -- also
9 addresses groundwater recharge.

10 I don't see a reference in here that reports that this
11 is the policy of the Board of Commissioners of VVWRA.

12 MR. LEDFORD: The Board of Commissioners of VVWRA in
13 1996 when the judgment went into effect were then also
14 stipulating parties; is that not correct?

15 MR. GALLAGHER: As we have discussed, some of them
16 were.

17 MR. LEDFORD: At least some.

18 In Mr. Wigler's letter he states that it is the
19 collective responsibility to use reclaimed water to the
20 maximum extent possible to minimize groundwater overdraft.
21 That was what he was suggesting that was VVWRA's position
22 back in 1993 prior to the adjudication.

23 You don't disagree with that?

24 MR. GALLAGHER: Pardon me?

25 MR. LEDFORD: You don't disagree that is what he said

1 when he was in your position in 1993?

2 MR. GALLAGHER: There is a statement in this letter
3 that says that.

4 MR. LEDFORD: I would hand you a letter written to Mr.
5 Wigle on May 27th, 1994, from Mojave Water Agency from Mr.
6 Norm Caouette.

7 Have you ever seen this letter before?

8 MR. GALLAGHER: To the best of my knowledge, no.

9 MR. LEDFORD: In that letter Mr. Caouette -- I am not
10 going to ask that. It will take too long.

11 H.O. BAGGETT: You have used about 50 minutes, just to
12 give you an idea.

13 MR. LEDFORD: What is my time limit?

14 H.O. BAGGETT: An hour.

15 MR. LEDFORD: I'm doing good.

16 To the best of your knowledge, is there any
17 correspondence between the VVWRA and the MWA that would have
18 changed that policy, any written correspondence between your
19 two agencies?

20 MR. GALLAGHER: Like I say, I am not aware that that
21 was a policy. A statement made in a letter.

22 MR. LEDFORD: At this time I will start with Randy. I
23 am going to hand you a letter dated December 28, 1993.
24 Actually start with Mr. Matt Patterson.

25 This letter was written to the Mojave Water Agency,

1 dated December 28, 1993. It was a joint letter that is
2 signed by the town of Apple Valley, Baldy Mesa Water
3 District, the Hesperia Water District, County Service areas,
4 Victor Valley Water District, and the City of Victorville.
5 And I believe, Mr. Patterson, is a signature with this
6 letter.

7 Are you familiar with this letter, Mr. Patterson?

8 MR. PATTERSON: Been seven years. I would have to take
9 some time to review it, but go ahead.

10 MR. LEDFORD: Is that your signature on the last page?

11 MR. PATTERSON: Yes, it is.

12 MR. LEDFORD: Would you agree with me that each of the
13 member agencies took the position treated effluent from the
14 wastewater plant is far more effective in recharging the
15 river basin than the septic tanks scattered all over the
16 basins, one of the positions collectively in 1993?

17 MR. PATTERSON: In 1993, that may have been the case,
18 but the direction of the Victor Valley Wastewater Authority
19 and the City of Victorville has substantially changed since
20 1993, given the fact that the reuse of George Air Force Base
21 has become a critical issue, and we have many other projects
22 including some adoptive policies by the Victor Valley
23 Wastewater Authority Board.

24 MR. LEDFORD: I am handing you a letter from the
25 Mojave Water Agency, and it is addressed to each of the

1 signatures to the prior letter, dated May 27th, 1994, signed
2 by Mr. Caouette, and ask you if you are familiar with this
3 letter.

4 H.O. BAGGETT: You have about four minutes. If you can
5 point him to what you want, to expedite reading a ten-page
6 letter. If there are certain key spots you want him to
7 respond to, focus on those. It would help.

8 MR. LEDFORD: On Page 5, the last sentence, if you can
9 read that.

10 H.O. BAGGETT: That is more helpful.

11 MR. PATTERSON: The last sentence?

12 MR. LEDFORD: The last sentence, and it goes to the top
13 of the next page.

14 MR. PATTERSON: Okay.

15 MR. LEDFORD: Do you -- I would like you to read it out
16 loud.

17 H.O. BAGGETT: Useful for us to hear?

18 MR. PATTERSON: It is not possible to estimate
19 impact from reclaimed water use without
20 knowing the place and time of use.
21 Introduction of reclaimed water does not
22 always assure that fresh water pumping for
23 a specific use may be reduced, but instead
24 may result in water uses which would never
25 occur had treated effluent not been available.

1 (Reading.)

2 MR. LEDFORD: Do you agree with that statement?

3 MR. PATTERSON: I think on any project you would have
4 to study the project, looking at the pluses and minuses. To
5 agree with that planning statement I don't think it would be
6 accurate. There is not enough information included.

7 MR. LEDFORD: Your testimony is that on any project you
8 would have to study the alternate uses to be able to
9 determine whether or not what use would be best?

10 MR. PATTERSON: Correct.

11 MR. LEDFORD: To the best of your knowledge and belief,
12 has any alternate analysis ever been completed for this
13 project using State Project water?

14 MR. PATTERSON: Not specifically using State Project
15 water, but we have studied the use of other alternatives.

16 MR. LEDFORD: Such as?

17 MR. PATTERSON: Water purchased from the City of
18 Adelanto, water purchased from Victor Valley Water District
19 and the installation of our own wells.

20 MR. LEDFORD: The reason that you discarded those
21 alternatives was?

22 MR. PATTERSON: The council's policy decision and the
23 Victor Valley Wastewater Authority Board's decision to use
24 reclaimed water for irrigation purposes.

25 MR. LEDFORD: Sir, if you were to use State Project

1 water as opposed to using reclaimed water, would it cost you
2 more?

3 MR. PATTERSON: Yes.

4 MR. LEDFORD: If you were to put your own wells in, new
5 wells in, would that cost you more?

6 MR. PATTERSON: Possibly. Again, our city council's
7 direction was to use reclaimed water for irrigation of the
8 golf course. The cost, in the city council's decision cost
9 is a factor, but cost is not the overriding factor when they
10 look at the social benefit of reusing reclaimed water.

11 MR. LEDFORD: What is my time?

12 H.O. BAGGETT: One minute.

13 MR. LEDFORD: I guess I used my time.

14 H.O. BAGGETT: We still have four more witnesses.
15 Who is next?

16 Art, Mr. Kidman, you are up.

17 MR. KIDMAN: Thank you, Mr. Baggett. I wonder if I can
18 use the podium for cross-examination.

19 H.O. BAGGETT: I don't think that is a problem. You
20 might get a little more room to spread out.

21 MR. KIDMAN: It's easier to keep the energy level up if
22 I am standing up. I would also, before I start, like to
23 make inquiry as to -- I don't think I am going to take that
24 whole hour with this, but we had indication that Mr. Hill
25 needs to be leaving, and I would rather do all the

1 cross-examination at once, even if that means coming back
2 tomorrow, doing it tomorrow. So I don't know how soon they
3 have to leave, or he has to leave.

4 H.O. BAGGETT: When is your flight? Three?

5 MR. HITCHINGS: 2:15, I think. He is flying out of Sac
6 Exec.

7 H.O. BAGGETT: We have two other parties here. How
8 long do you anticipate?

9 MR. YAMAMOTO: I have maybe five questions. If the
10 answer is long-winded, you know.

11 H.O. BAGGETT: Any questions?

12 No questions.

13 Sounds like a half hour, 45 minutes.

14 MR. KIDMAN: If it is only half an hour, I would rather
15 waive for now and come back tomorrow and do the
16 cross-examination of this panel. It'd be awkward to break
17 in the middle.

18 H.O. BAGGETT: I would agree with you.

19 We want to just skip over to the last party, see how
20 that goes, see what the time is?

21 MR. KIDMAN: That would be fine with me.

22 H.O. BAGGETT: Let's take them out of order. Let's go
23 with Apple Valley.

24 ----oOo----

25 //

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CROSS-EXAMINATION OF FIRST PANEL

VICTOR VALLEY WASTEWATER RECLAMATION AUTHORITY

BY APPLE VALLEY RANCHOS WATER COMPANY

BY MR. YAMAMOTO

MR. YAMAMOTO: My name is Andrew Yamamoto. I am here on behalf of Apple Valley Ranchos Water Company. I have a few questions. First, I would like to start with Mr. Gallagher.

Directing your attention to Exhibit 1J of your exhibits, which is the judgment. Now, Exhibit 1J has an Exhibit B, which lists all the parties to the judgment. Standing here today, do you have any question about whether any members of your agency, the Victor Valley Wastewater Reclamation Authority was a party to the judgment?

MR. GALLAGHER: I think we've discussed that already.

MR. YAMAMOTO: As I recall, your only question was about the town of Apple Valley; is that correct?

MR. GALLAGHER: Yes, I wasn't aware Apple Valley had water rights and if they were a stipulated party. But I think we've since established that.

MR. YAMAMOTO: So is it your testimony now that all four members of the Victor Valley Wastewater Reclamation Authority are parties to the stipulated judgment? Is that correct?

MR. GALLAGHER: Well, my understanding is. I wouldn't

1 say that is my testimony.

2 MR. YAMAMOTO: Do you have any reason to question that?

3 MR. GALLAGHER: Only that I am not all that familiar
4 with who all holds water rights.

5 MR. YAMAMOTO: I direct your attention to Exhibit B to
6 the stipulated judgment which lists the parties in the Alto
7 area who have stipulated to the judgment.

8 Do you see that? It is listed as Page 7 of 26. And
9 the town of Apple Valley is listed as one of the parties?

10 MR. GALLAGHER: Okay.

11 MR. YAMAMOTO: Do you see that?

12 MR. GALLAGHER: Yes.

13 MR. YAMAMOTO: Do you have any question now whether or
14 not the town of Apple Valley was a party that stipulated to
15 the judgment?

16 MR. GALLAGHER: No, I sure don't.

17 MR. YAMAMOTO: Previously you testified that your
18 authority projects that the wastewater flows from the
19 authority to the river will increase in the future; is that
20 correct?

21 MR. GALLAGHER: Yes, with growth, yes.

22 MR. YAMAMOTO: You expect that growth, correct?

23 MR. GALLAGHER: Yes. We are planning for it right
24 now.

25 MR. YAMAMOTO: And the net flow, even including

1 diversion or water reclamation projects, will still be
2 increasing; is that correct?

3 MR. GALLAGHER: With the gradual implementation of the
4 SCLA project and the growth of our flow discharge to the
5 river would continue to increase.

6 MR. YAMAMOTO: Is your Authority willing to guarantee
7 that the level of flow to the Transition Zone stay the same
8 or increase over time?

9 MR. GALLAGHER: Are we willing to guarantee that? What
10 I think we offered is that we would guarantee 2,000
11 acre-feet with an option to buy some additional water.

12 MR. YAMAMOTO: 2,000 acre-feet is a small portion of
13 your current discharge into the river?

14 MR. GALLAGHER: That's correct.

15 MR. YAMAMOTO: Your agency is not willing to guarantee
16 any more than 2,000 acre-feet?

17 MR. GALLAGHER: I didn't say that.

18 MR. YAMAMOTO: How much more than 2,000 acre-feet is
19 your agency willing to guarantee?

20 MR. GALLAGHER: I don't know.

21 MR. YAMAMOTO: Do you know that your agency is willing
22 to guarantee any amount over 2,000 acre-feet to the river?

23 MR. GALLAGHER: I don't know that either.

24 MR. YAMAMOTO: Previously you testified that the cost
25 of water you would sell to the Fish and Game folks would be

1 approximately 35 or \$50 an acre-foot?

2 MR. GALLAGHER: That was the value for water in the
3 agreement with the City of Victorville for the sale of water
4 to SCLA. We used that for example purposes.

5 MR. YAMAMOTO: In fact, in the future if you sold water
6 to the Department of Fish and Game, you would sell it at
7 market rates, correct?

8 MR. GALLAGHER: Our Board would determine the rate on a
9 periodic basis. We assume that to be annually.

10 MR. YAMAMOTO: Do you have any reason to believe that
11 rate would not be market rate?

12 MR. GALLAGHER: When you say market, what establishes
13 market?

14 MR. YAMAMOTO: Well, you previously testified that the
15 cost of buying preproduction allowance in the Valley, in the
16 area, would be a basis for determining the rate you would
17 charge Fish and Game; is that correct?

18 MR. GALLAGHER: That would be correct.

19 MR. YAMAMOTO: Other market factors would include the
20 cost of water that you would import into the area, correct?

21 MR. GALLAGHER: Certainly. If there is no FPA left to
22 buy up, the cost would be based on project water.

23 MR. YAMAMOTO: Would your Authority charge any rate
24 other than that which it could get for its water from other
25 agencies or parties?

1 MR. GALLAGHER: Well, the answer to that question is
2 that our Board would determine the rate. What all they use
3 for criteria would be up to our Board of Commissioners.

4 MR. YAMAMOTO: The Board could determine to charge Fish
5 and Game the market rate; is that correct, whatever that
6 number may be?

7 MR. GALLAGHER: I am not prepared to answer that
8 question. I don't know. I don't have an answer.

9 MR. YAMAMOTO: There is nothing in your offer to Fish
10 and Game or your possible offer to Fish and Game that would
11 restrict the Authority from charging the rate which is
12 similar to or close to the rate charged for imported water;
13 is that correct?

14 MR. GALLAGHER: There was no price included or
15 suggested in our offer.

16 MR. YAMAMOTO: So the price is whatever your board
17 chooses; is that correct?

18 MR. GALLAGHER: Our Board would establish the price,
19 yes.

20 MR. YAMAMOTO: Mr. Hill, you have testified that your
21 water district would like to buy the reclaimed water from
22 VVWRA; is that correct?

23 MR. HILL: Yes. We've actually made an offer to do
24 that to the Reclamation Authority, and that triggered an
25 internal discussion with the Reclamation Authority that --

1 MR. YAMAMOTO: It was a yes or no question. If you'd
2 like to talk, that is fine.

3 H.O. BAGGETT: Just answer the question.

4 MR. HILL: Yes.

5 MR. YAMAMOTO: I'm trying to get it --

6 MR. HILL: You are trying to save me time. I
7 appreciate that.

8 MR. YAMAMOTO: Get you to the airport, yes.

9 Where in the stipulated judgment does it say that a
10 purchase of reclaimed water by your agency from VVWRA could
11 be used to satisfy your agency's makeup obligation?

12 MR. HILL: As I understand it, it is not covered in the
13 Adjudication. It would require an analysis by the water
14 master to make that transfer.

15 MR. YAMAMOTO: Can you point to any part of the
16 judgment that would allow your district to take credit for
17 water purchased from VVWRA as against the makeup obligation
18 of the district?

19 MR. HILL: No, because the Reclamation Authority's
20 contribution to the river is not specifically named in the
21 Adjudication.

22 MR. YAMAMOTO: I would like to direct your attention to
23 Paragraph 22 of the judgment, which is Exhibit 1J of the
24 VVWRA exhibits.

25 MR. HILL: Okay.

1 MR. YAMAMOTO: It says at Line 22:
2 To the extent that any subarea incurs a
3 makeup obligation, water master will provide
4 supplemental water to satisfy such makeup
5 obligation according to the methods set forth
6 herein. (Reading.)
7 Do you see that?
8 MR. HILL: I do.
9 MR. YAMAMOTO: Do you know of any provision in the
10 judgment which indicates that reclaimed water produced by
11 VVWRA would constitute supplemental water?
12 MR. HILL: No. Reclaimed water would not be considered
13 supplemental water under the Adjudication.
14 MR. YAMAMOTO: Were you involved in the negotiations
15 that led to the stipulated judgment?
16 MR. HILL: I was not.
17 MR. YAMAMOTO: Now, previously you have estimated the
18 cost to your customers if the State Board were to grant the
19 VVWRA petition.
20 Do you recall that?
21 MR. HILL: Can you repeat the question?
22 MR. YAMAMOTO: Previously you estimated that it would
23 cost approximately \$4 per customer if the State Board grants
24 the petition.
25 Do you recall that?

1 MR. HILL: I actually gave a range depending upon the
2 rate charged for makeup water. But, yes, the lowest number
3 would be \$4.00 per acre-foot based upon 1,680 acre-feet per
4 year.

5 MR. YAMAMOTO: What do you expect the cost to be if
6 VVWRA sold all of its reclaimed water to places like the
7 golf course instead of just discharging the water into the
8 river?

9 MR. HILL: I think if you refer back to my attachment
10 you will see their contribution to the river over the last
11 five years on average has been 8,000 acre-feet roughly. So
12 if you took that amount, the Alto producers would have to
13 recharge an additional 8,000 acre-feet into the river if
14 they were to divert all water.

15 MR. YAMAMOTO: Is the answer that it would cost several
16 times more to your customers if the VVWRA were able to get
17 permission to divert its entire stream of wastewater from
18 the river?

19 MR. HILL: You're assuming an action subsequent to this
20 one to take more than 1,680 acre-feet?

21 MR. YAMAMOTO: Correct.

22 MR. HILL: Under that condition there would be a
23 greater economic impact.

24 MR. YAMAMOTO: And it would be several times greater,
25 correct?

1 MR. HILL: Yeah. If I had a calculator I could tell
2 you but it would be significantly more.

3 MR. YAMAMOTO: Now, if you used the cost of --

4 MR. HILL: Now, by the way, your question eight.

5 MR. YAMAMOTO: The last question, though.

6 If you used the cost figures you used when you amended
7 your written testimony, talking about the cost of imported
8 water perhaps being \$271 per acre-foot or \$220 some-odd per
9 acre-foot --

10 MR. HILL: It was 267 or 227.

11 MR. YAMAMOTO: Sorry. That would proportionately
12 increase the \$4.00 figure as well, correct?

13 MR. HILL: Absolutely.

14 MR. YAMAMOTO: Thank you.

15 H.O. BAGGETT: You need to leave in an hour, 3:00? Ten
16 till? Five till?

17 Mr. Kidman, do you want to start or should we do the
18 next panel and then you come back and do them all tomorrow?

19 MR. KIDMAN: I don't know. Taking the batting order,
20 Mr. Vail still gets a shot.

21 H.O. BAGGETT: I asked him.

22 You didn't have any a minute ago.

23 MR. VAIL: I thought I might ask a couple of questions.

24 ----oOo----

25 //

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CROSS-EXAMINATION OF FIRST PANEL

VICTOR VALLEY WASTEWATER RECLAMATION AUTHORITY

BY MR. VAIL

MR. VAIL: One of the things I would like to know is you guys talked about how this will impact the people in the cities that are on sewers. What about all the other people who are not on sewers who are on their own wells? The sewer system you have, did you consider the impact it is going to have on those people? I haven't seen any suggestion, hadn't heard anybody talk about that.

MR. GALLAGHER: Essentially what is happening is that the sewer users are subsidizing the water users in the Victor Valley. Only about a third of the population of the Victor Valley are on sewers. So those folks pay for the treatment of that water that currently is discharged to the river, but yet three times that many people get benefit from that water without paying for it.

MR. VAIL: The people that are getting benefit from water are people who are being serviced by water companies.

MR. GALLAGHER: Or even that have private wells, if they're a stipulated party.

MR. VAIL: How do they get a benefit from that? How do the people who have their own wells, how are they being benefited by the sewer treatment plant putting this water into the river after it's already been taken out of the

1 river?

2 MR. GALLAGHER: Because if they purchase water from a
3 purveyor, the rate for their water reflects the fact that
4 our discharge to the river was credited to the purveyors in
5 the Alto basin, and thereby reduce their downstream
6 obligation.

7 MR. VAIL: If the water had never been taken out of the
8 ground in the first place, you get to the sanitation
9 treatment plant in the second place, there would be no
10 reason for the water to be put back into the river to
11 continue the flow in the third place.

12 So how can you say that you are talking about a benefit
13 that isn't really there? You are saying you are benefiting
14 somebody, in reality the water's being taken out of the
15 ground by water companies, is being sent down the system to
16 the sewage treatment plant that you are processing, putting
17 back in. How can you say that is a benefit?

18 MR. HITCHINGS: Do I need to make an objection?

19 H.O. BAGGETT: No.

20 MR. HITCHINGS: That is testimony and should be
21 stricken.

22 H.O. BAGGETT: You are going to get a chance.

23 MR. VAIL: How can you say it is beneficial? You keep
24 talking about the benefit process, and how can you say that
25 is benefiting the individual well owners or other water

1 companies in the area because if the water had not been
2 pumped out in the first place, you wouldn't be treating --

3 H.O. BAGGETT: I think he's got it.

4 MR. HILL: I think just as an example, the City of
5 Adelanto currently has their own treatment plant. All the
6 water that they produce that ends up in their sewer system
7 goes to their treatment plant and never makes it back to the
8 river. It is discharged into the desert, does not recharge
9 the river. However, the City of Adelanto gets a credit for
10 the water which is put in through Dan's treatment plant.
11 They receive a substantial credit for that water against
12 their downstream obligation, even though they don't
13 contribute any water at all to the river.

14 MR. VAIL: If I am not mistaken --

15 H.O. BAGGETT: No testimony, please.

16 MR. VAIL: I am asking a question.

17 In the Adjudication, you're familiar with the
18 adjudication agreement?

19 H.O. BAGGETT: It's been established.

20 MR. VAIL: Isn't it referred or, how can I say it, all
21 of that it is one big water table, so if Adelanto is
22 putting it, is that water not going back in the ground in
23 Adelanto?

24 MR. HILL: As far as the Adjudication and the water
25 master is concerned, they do not credit water that is

1 discharged over the regional aquifer against the makeup
2 obligation. It is not credited.

3 MR. VAIL: I understand that.

4 Thank you. I'll wait for my turn.

5 H.O. BAGGETT: What is your pleasure, Mr. Kidman, you
6 want to wait till tomorrow?

7 MR. KIDMAN: I think it would be -- we'd have a lot
8 more continuity if I got a chance to take my time and go
9 through all three of these together.

10 H.O. BAGGETT: Let's do the next panel of witnesses and
11 tomorrow morning at 9:00 we will pick up and do all the
12 Victor Valley's if that is agreeable.

13 MR. KIDMAN: I'm personally happy to do whatever
14 cross-examination I have of the other panel.

15 H.O. BAGGETT: It won't count against you.

16 With that, let's move to your second panel. You have
17 four more?

18 MR. HITCHINGS: Yes.

19 H.O. BAGGETT: Five-minute recess.

20 (Break taken.)

21 H.O. BAGGETT: We are back.

22 Carry on.

23 ----oOo----

24 //

25 //

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DIRECT EXAMINATION OF SECOND PANEL

VICTOR VALLEY WASTEWATER RECLAMATION AUTHORITY

BY MR. HITCHINGS

MR. HITCHINGS: Thank you, Mr. Chair. Our next panel is made up of Fritz Carlson, Lisa Kegarice, Tom Dodson and Peter MacLaggan. We are going to have them present their direct testimony in order, so I would like to start with:

Fritz, if you would state your full name for the record.

MR. CARLSON: My name is Fritz Carlson.

MR. HITCHINGS: Could you identify your current title and position.

MR. CARLSON: I am a senior hydrogeologist with CH2MHill in the Redding, California, office.

MR. HITCHINGS: I would like to refer you to VVWRA Exhibit 4B and ask you whether that is a true and correct copy of your resume and statement of qualifications?

MR. CARLSON: Yes, it is.

MR. HITCHINGS: Could you briefly summarize your experience and qualifications.

MR. CARLSON: I have a Bachelor's degree in geology from Berkeley, a Master's in hydrology for Arizona in '74. I have worked as a hydrogeologist for 29 years, all but two of those with CH2MHill, actually three at Bechtel I'll say for that, early on. I am a registered geologist in

1 California and certified hydrogeologist in California.

2 MR. HITCHINGS: Is VVWRA Exhibit 4A a true and correct
3 copy of the written testimony that you prepared for this
4 proceeding?

5 MR. CARLSON: Yes, it is.

6 MR. HITCHINGS: Are there any corrections that you
7 would like to make to that at this time?

8 MR. CARLSON: No, there is not.

9 MR. HITCHINGS: Then I would ask if you would please go
10 ahead and summarize your written testimony.

11 MR. CARLSON: Okay, I'd be glad to do that.

12 The testimony submitted here is arranged according to
13 the key hearing issues. So I am going to go through the
14 key hearing issues and speak to each of those that I was
15 asked to respond to.

16 The first is does hydrologic continuity exist between
17 the Mojave River and any surface or any groundwaters that
18 are the source of wastewater supplied to and treated by
19 VVWRA?

20 The first part of the testimony is that the source of
21 the water that eventually arrives at VVWRA is, to my
22 knowledge, entirely pumped groundwater from wells in the
23 area.

24 The second part of that question speaks to the
25 hydrologic continuity between the surface water and the

1 Mojave River and the groundwater, and we evaluated the reach
2 primarily between the Lower Narrows and Helendale. VVWRA
3 discharged point is about four miles downstream from the
4 Lower Narrows.

5 Hydrologic continuity can be several different
6 things. I just want to digress a little bit and just talk
7 about the relationship between surface water and groundwater
8 in the stream. There are several different possibilities.
9 One possibility is that the groundwater level is actually
10 above the water level in the stream. Under those
11 conditions, groundwater would move from the water table into
12 the stream in a -- it would be a groundwater discharge that
13 would feed the surface flow in the stream. To my knowledge,
14 that condition occurred in the historic past before the
15 advent of groundwater pumping.

16 Now, another condition that could occur is that the
17 groundwater level is below the stage of water in the river,
18 in which case groundwater would actually be recharged by
19 seepage from the stream. And there is actually two
20 conditions that can occur there. If the groundwater level
21 is below the river stage, but not by very much, it's still
22 coupled to the stream through saturated flow, in that case
23 the rate of groundwater or rate of seepage from the stream
24 is a function of the elevation of the groundwater. As the
25 groundwater levels fall, the rate of seepage from the stream

1 increases. Now, if the groundwater level falls so far as to
2 cause the appearance of an unsaturated zone below the
3 streambed, that would actually cause a decoupling of the
4 water table, in which case the groundwater -- if the
5 groundwater level is, say, a hundred feet below a stream, it
6 doesn't matter it is a hundred feet below or 200 feet, the
7 amount of leakage is controlled by the amount or the
8 properties of the streambed itself and not by the
9 groundwater level itself.

10 So there is three conditions: groundwater discharging
11 to the stream, or groundwater recharging from the stream
12 into the aquifer and coupled or decoupled fashion.

13 To evaluate the conditions that exist in the reach
14 between the Lower Narrows in Helendale, we evaluated several
15 items. See if I can speak to that.

16 MR. HITCHINGS: Before you go on, Fritz, I want to
17 clarify. It looks as though right now you are referring to
18 Exhibit 4D of your testimony; is that correct?

19 MR. CARLSON: The graph on the -- the graph that I am
20 pointing to with the laser, where the line is, is 4D. There
21 is a map on the easel over here that is Exhibit 4C, I
22 believe. And that map I am pointing now to the Lower
23 Narrows and the Mojave River moving up towards Helendale at
24 the top. The wastewater treatment plant is here. Bryman
25 Road is here.

1 The graph on the screen, on the Y axis is elevation
2 above sea level, and on the X axis is the distance along the
3 Mojave River from the Lower Narrows stream gauge measured in
4 miles. The solid line on this chart represents the
5 elevation of the Mojave riverbed as we determined from the
6 USGS topographic maps. That is basically the elevation of
7 the stream.

8 The triangles that at least I can see, most people can,
9 represent the water levels measured in wells, series of
10 monitoring wells that exist in the stream. We got this data
11 from the U.S. Geological Survey. You can see that
12 throughout most of the reach the groundwater levels are
13 below the level of the stream, except for this area around
14 Bryman Road where it appears that the groundwater level may
15 be above the stream. It may be discharging. The squares
16 are the top and bottom of the perforated zone of monitoring
17 wells.

18 We did this because some wells are deeper than other
19 wells. In this particular case right by the treated plant,
20 even though this well is fairly shallow, this one is deeper,
21 but the water levels are pretty much the same.

22 So, what do we conclude from a chart like that? One
23 thing is that throughout most of the area here the
24 groundwater level is below the streambed. And that means
25 that the surface flow from the stream is actually recharging

1 into the groundwater along this entire reach, except
2 possibly the area around Bryman Road.

3 Another suggestion, indication, that we can get from a
4 diagram like this, the scale here, these little squares are
5 ten feet. This suggests that the depth to groundwater along
6 parts of these areas are maybe ten feet below the level of
7 the stream. Again, this is from the USGS database. This
8 suggests that the groundwater level is deep enough to
9 actually be decoupled to the stream itself.

10 This means that the stream is leaking about as fast as
11 it can, given the infiltration characteristics of the
12 streambed itself. So, that is our conclusion from this
13 chart.

14 Tom, could you move that over just a little bit to the
15 right so I can read the Y axis?

16 This chart, which is Exhibit 4E in our testimony, shows
17 on the Y axis the extent of river flow downgradient of the
18 plant measured in miles on X axis. The Victor Valley -- the
19 VVWRA discharge to the Mojave River measured in the cfs.
20 What we did here, what these points are, are the location of
21 the extent of flow below VVWRA as we gleaned from
22 examination of aerial photographs taken in different years
23 in the past. We obtain these aerial photographs from the
24 Mojave Water Agency.

25 What you can see is in the early years, 1987 and 1989,

1 the discharge was about 6 cfs and the flow extended about
2 two and a half miles from the wastewater treatment plant.
3 However, as the flow increased, the extent of flow, the
4 extent of moving water in the stream, also increased. This
5 is an example point. In 1995 here we have ten cfs and 5.1
6 miles. Just to clarify where 5.1 miles is, this solid line
7 here represents Bryman Road, which is about three and
8 three-quarters miles downstream. I am pointing to it on the
9 -- I think that is Bryman.

10 MR. DODSON: It is.

11 MR. CARLSON: Eye test up here.

12 So, the main purpose of doing a chart like this is to
13 see, well, okay, we know that the more water you put in the
14 river the farther downstream the flow is going to go. The
15 question is how much, how much extension of flow do we get
16 for a given increase in discharge. That's why we fit this
17 straight line to this data. That is what this is. Y equals
18 $.66x$ minus 1.63.

19 Basically, what this means is that you get for 1 cfs of
20 discharge, increase in discharge, extends the flow by about
21 .66 miles. That is that ratio there. Stated another way,
22 looking at it, we do the reciprocal of that .66; one mile of
23 flow takes about one and a half cfs, to extend the flow one
24 and a half -- extending the flow about one mile takes about
25 an additional one and a half cfs.

1 There is two solid lines here. These lines were -- I
2 am not exactly sure those are exactly correct now, but for
3 the purposes of illustration this is one way of looking at
4 this curve. The current discharge to the Mojave River, as I
5 understand it, is around 11 cfs. This is surface discharge
6 only. This does not count the percolation pond discharge.
7 With the percolation ponds it is up at about 13.

8 Now the proposed project or idea, the concept, is to
9 remove 1,680 acre-feet per year which equates to about 2.3
10 cfs. If you took this, moved it to here, you could use this
11 curve here to compute the distance of flow under those
12 rates. And you could see that from a -- from a distance of
13 flow here, it would go down to here.

14 It would still even at that amount of reduction in
15 flow, it would still extend beyond Bryman Road. That was
16 one of our conclusions.

17 Another key hearing issue we were asked to respond to
18 is: Will approval of the VVWRA change petitions affect
19 groundwater levels in the Alto, Baja, Centro, Este, Oeste
20 subareas? And our response to that is that, as we
21 understand it, the diversion of this water, use of this
22 reclaimed water at this golf course will replace existing
23 groundwater supply. There will be no net increase in
24 consumptive use. It will be merely a change. So as far as
25 the basin is concerned, there will be no change in

1 consumptive use.

2 This, the reduction in groundwater pumping because of
3 the reduction in the demands of this golf course, will cause
4 a rise in groundwater level. Where this rise occurs will be
5 highest near the wells that are going to be pumped less. We
6 did not do a detailed computation of where that rise would
7 occur, nor did we do computation on the exact amount of
8 rise. We did look at the possibility that reduction in that
9 groundwater pumping would cause a large enough rise in
10 groundwater levels so that discharge -- so that the
11 groundwater levels will rise high enough to actually cause
12 discharge again into the streambed.

13 We concluded, based upon a simplified analysis, that
14 the rise would not be great enough to actually cause an
15 increase in groundwater discharge or cause a reversal,
16 induce groundwater discharge as it was in the past.

17 That is the end of my testimony.

18 MR. HITCHINGS: If I could just ask you, Fritz, to
19 clarify something that is on your graph, which was 4E, I
20 believe. You had just referred to the dotted line. You've
21 got a label at the top of that that says Proposed Discharge
22 to the Mojave River.

23 Do you see that?

24 MR. CARLSON: Yes, I do.

25 MR. HITCHINGS: In using the term "Proposed discharge,"

1 what that really reflects, and I want to clarify this,
2 according to you what you just said is that that is really
3 the line representing the discharge level if the project was
4 fully implemented at 1,680 acre-feet delivered to the golf
5 course; is that correct?

6 MR. CARLSON: That is correct, and if it were
7 implemented essentially based on current conditions. Like
8 if it were implemented tomorrow.

9 MR. HITCHINGS: Thank you.

10 The next witness is Lisa Kegarice.

11 And, Lisa, if I could ask you to state your full name
12 for the record.

13 MS. KEGARICE: Lisa Kegarice.

14 MR. HITCHINGS: Could you identify your current title
15 and position.

16 MS. KEGARICE: Regulatory specialist ecologist at Tom
17 Dodson & Associates.

18 MR. HITCHINGS: I would like to direct your attention
19 to Exhibit, I believe it is, 6B, and ask you whether that is
20 a true and correct copy of your resume?

21 MS. KEGARICE: Yes, it is.

22 MR. HITCHINGS: Could you briefly state your
23 qualifications for the record.

24 MS. KEGARICE: Yes. I have a Bachelor's of Science in
25 biology, and I have been working in the field of

1 consultation and as a regulator with the Army Corps of
2 Engineers for the past 12 years.

3 MR. HITCHINGS: I would like to direct your attention
4 to Exhibit 4 -- I am sorry, 6A, and ask you whether that is
5 a true and correct copy of the testimony you prepared for
6 this hearing?

7 MS. KEGARICE: It is, only one correction.

8 MR. HITCHINGS: Can you tell us what that correction
9 is?

10 MS. KEGARICE: Under Section 6, No. 16, the very last
11 sentence it has nine acres of habitat due to pipeline
12 construction. That needs to be changed to 6.7 acres.

13 MR. HITCHINGS: Other than that change, do you have any
14 other corrections that you want to make to that testimony?

15 MS. KEGARICE: No, I don't.

16 MR. HITCHINGS: Thank you.

17 If you could briefly summarize your written testimony.

18 MS. KEGARICE: I conducted a focused desert tortoise
19 survey along the proposed pipeline alignment. Prior to
20 conducting that survey, I completed a literature review of
21 other surveys done in the vicinity of VVWRA. The result of
22 that survey was that tortoises do, in fact, occur within the
23 vicinity of VVWRA.

24 I then conducted a hundred percent coverage survey of
25 the proposed pipeline alignment. And the result of that

1 survey was that the vast majority of the project area is
2 disturbed and unsuitable for tortoise, but there is a
3 segment which I have on this -- this is actually a map out
4 of the initial assessment study. And it shows Area A as
5 native desert habitat. So that would be the segment that
6 is suitable for desert tortoise. However, I did not find
7 any tortoise, tortoise sign or burrows within the pipeline,
8 proposed pipeline alignment.

9 I then recommended several best management practices to
10 ensure avoidance of tortoise during construction in the
11 event a tortoise would move into the area during
12 construction.

13 That's the summary of my testimony.

14 MR. HITCHINGS: Did you reach any conclusions about
15 potential impacts, if any, on desert tortoise?

16 MS. KEGARICE: The direct take of tortoise to be
17 avoided by implementing best management practices such as
18 monitoring and constructing during the time when tortoises
19 were inactive during winter.

20 MR. HITCHINGS: Is there any reason why your surveying
21 work was limited regarding this project to desert tortoise
22 rather than other species or additional species?

23 MS. KEGARICE: I focused on desert tortoise for doing a
24 focus survey because at the time of the survey the Mojave
25 ground squirrel, which also occurs in this area, there was a

1 break in whether or not you completed field trapping surveys
2 versus a habitat evaluations study and the proposed impacts
3 were temporary and could likely avoid those impacts, so we
4 didn't do any focus surveys for the Mojave ground squirrel.

5 MR. HITCHINGS: Have you been consulting or at least
6 discussing your survey work with Fish and Game throughout
7 the process of why you have been doing this?

8 MS. KEGARICE: Yes, I have.

9 MR. HITCHINGS: During any of those discussions did any
10 concerns -- were any concerns brought up by Fish and Game
11 regarding other species that might be impacted, particularly
12 in the riparian habitat areas downstream of the treatment
13 plant?

14 MS. KEGARICE: In fact, the Department of Fish and Game
15 responded to the initial study with concerns about the
16 Mojave ground squirrel and riparian habitat, and the Mojave
17 ground squirrel and tortoise were -- VVWRA entered into
18 processing a 2081 take permit for the Mojave ground squirrel
19 and desert tortoise for this project and others, and up
20 until the 1st of December we had not been given then any
21 indication of impacts to riparian species.

22 The riparian species in the area was surveyed by Frank
23 Hovor & Associates about a year before I did my focus
24 survey.

25 MR. HITCHINGS: That is one of the attachments to the

1 VVWRA's petition; is that correct?

2 MS. KEGARICE: Yes.

3 MR. HITCHINGS: The other witnesses on this panel or
4 one of the other witnesses I should say is Tom Dodson.

5 And, Tom, if you could state your full name for the
6 record.

7 MR. DODSON: Thomas Melvin Dodson.

8 MR. HITCHINGS: If you could identify your current
9 title and position, please.

10 MR. DODSON: I am the president of my -- of Tom Dodson
11 & Associates, and I manage all of the environmental projects
12 that come through our office.

13 MR. HITCHINGS: Is VVWRA Exhibit 5B a true and correct
14 copy of your resume?

15 MR. DODSON: Yes, it is.

16 MR. HITCHINGS: Would you briefly summarize your
17 experience and qualifications particularly with regard to
18 your work in the Mojave River Basin area?

19 MR. DODSON: I have 30 years of experience in preparing
20 environmental documentation to comply with the California
21 Environmental Quality Act, and I will use the acronym CEQA
22 from now, C-E-Q-A, if that is okay, and National
23 Environmental Policy Act, and if we need to refer to that I
24 will use the term NEPA, N-E-P-A, as the acronym.

25 In addition to the -- in the context of that 30 years

1 of experience for the last ten years I have been working
2 within the Mojave River Basin on a variety of projects, many
3 of them directly with Mojave Water Agency, many of them
4 directly with the Victor Valley Wastewater Reclamation
5 Authority, and many of them with a large number of the water
6 purveyors.

7 Examples: We prepared the water master plans for three
8 separate water agencies within the basin. We have done
9 environmental impact reports with the Mojave Water Agency,
10 environmental documents, let me correct that, for the Mojave
11 Water Agency on both pipelines. The Morongo Basin pipeline
12 and the Mojave River pipeline.

13 MR. HITCHINGS: And VVWRA Exhibit 5A, is that a true
14 and correct copy of the written testimony that you prepared
15 in this proceeding?

16 MR. DODSON: Yes.

17 MR. HITCHINGS: Do you have any corrections or changes
18 you would like to make to that?

19 MR. DODSON: I have one correction. In Item No. 6,
20 first line, there is a list of the riparian and preatophytic
21 plant habitat that exists within the Transition Zone. It is
22 identified as 2,070 acres. In fact, that is a misprint, and
23 it should be 2,605.2 acres.

24 MR. HITCHINGS: Is that change still derived from the
25 source material that you referred to in Paragraph 6 of your

1 testimony, which is Table 2, the Lines Bilhorn Report?

2 MR. DODSON: Yes, sir, it is, and I will be explaining
3 that in just a little bit. It does not change any of the
4 other conclusions contained within my testimony.

5 MR. HITCHINGS: Are there any other corrections other
6 than that?

7 MR. DODSON: No, sir.

8 MR. HITCHINGS: Thank you.

9 If you could then summarize your testimony for the
10 Board.

11 MR. DODSON: My office, Tom Dodson & Associates
12 prepared the initial study and managed the California
13 Environmental Quality Act process for the Victor Valley
14 Wastewater Reclamation Authority, VVWRA, to relocate the
15 discharge of recycled water from the Mojave River to the
16 SCLA, which has been referred to before. This evaluation
17 process ultimately culminated in VVWRA adopting a mitigated
18 negative declaration as the CEQA environmental determination
19 for the project that is being discussed here today, which is
20 the relocation of the recycled water discharge, and that was
21 not legally challenged.

22 A couple of things, some of the information that is
23 contained in my testimony is slightly different from that
24 which you have heard from other people today, and there is a
25 reason for that. An environmental document, in this case

1 the initial study and the negative declaration that flowed
2 from it is a snapshot in time. It represents the data that
3 we had in our hand at that particular point in time to make
4 decisions.

5 Examples would be when we were making this decision
6 Adelanto was pulling their wastewater recollection,
7 wastewater flows, out of VVWRA's plant. The wastewater
8 flows went down some. But since that time in the two years,
9 year and a half, since that time, flows have recuperated
10 back up to approximately the same level of 9,000 acre-feet
11 per year. The point being is that if you see differences in
12 numbers, most of them are different because we are looking
13 at different sets of data, and they don't change the
14 conclusions, in my opinion.

15 Another thing that's important is that when you prepare
16 an initial study and an environmental document to reach an
17 environmental determination, you have to make a judgment of
18 what type of database you are going to use. There are two
19 ways of approaching this type of evaluation. One is to
20 conduct original surveys on your own or studies to define
21 the particular characteristics of a problem. And those
22 typically begin for me in a three-step logical process.

23 One, what is the existing physical environment. Two,
24 what are -- what is the project and how will it change or
25 alter the physical environment. And then last, evaluating

1 or applying some significance in terms of an evaluation to
2 those previous two sets of data: the existing, the change in
3 impact -- the change in the physical environment, and then
4 evaluating it to determine if it is significant or not, and
5 then using some criteria to do that.

6 In this particular case what we did is we went through
7 an evaluation of a variety of different issues. But the
8 ones that are germane to the issue here today are the
9 biological resource issues and the water quality issues.
10 Very simply, where did we get the data that we utilized in
11 this biological assessment in the initial study? What we
12 found is that with one exception the data was already
13 available for us to do a full evaluation of the biological
14 resource issues.

15 Example, Lisa just gave you her report that told you
16 how we had to do a site-specific desert tortoise survey to
17 see if we had desert tortoises along the alignment that
18 could be impacted by the project. The answer was no. We
19 used a report prepared by Frank Hovor and others; and that
20 is Attachment 6 to our petition. And it defined what the
21 biological resources are within the general area and also in
22 the adjacent area, the riparian habitat.

23 The conclusion drawn from that and which was
24 acknowledged in the initial study, there are significant
25 resources values in the adjacent riparian habitat, and there

1 were some species of concern, one being the tortoise again
2 that needed to be evaluated on a site-specific basis, which
3 we did.

4 Finally, there was a USGS report. Their report is
5 titled Riparian Vegetation and its Water Use During 1995
6 Along the Mojave River, Southern California. That report is
7 shown here. It is also identified as Exhibit 5C; and that
8 report I will refer to from now on as USGS Report 96-4241.
9 There are some important information I'd like to share
10 first, if I may.

11 This table is Table 7 that is shown on the large panel
12 that we have over here. That was not contained within the
13 exhibit that was submitted, but it was a table that was
14 referenced in it contains the tables that identify the
15 riparian habitat, their consumptive use based upon specific
16 evaluations of the type of habitat that occurs. I am going
17 to be talking about that in more detail here in just a
18 moment.

19 MR. HITCHINGS: Before you talk about that, we should
20 clarify that that oversized map or schematic that you are
21 talking about, that was plate one to the Lines Bilhorn or
22 96- --

23 MR. DODSON: It's Exhibit 5.

24 MR. HITCHINGS: 4241.

25 MR. DODSON: That's correct.

1 MR. HITCHINGS: It is Exhibit 5 to that.

2 MR. DODSON: No. It is plate one, you are correct. It
3 is shown -- that document is contained as Exhibit 5C in our
4 material.

5 MR. HITCHINGS: The large schematic is the plate that
6 is part of that exhibit; is that correct?

7 MR. DODSON: That's correct.

8 MR. HITCHINGS: The Department of Fish and Game is
9 actually one of the authors of that or sponsor, or their
10 name is on that report; is that correct?

11 MR. DODSON: Yes, it is. Mr. Lines, Mr. Bilhorn. Mr.
12 Bilhorn is a DFG consultant, and he was one of the authors.

13 MR. HITCHINGS: Thank you.

14 What you have on the overhead right now is Table 7
15 which is an exact duplicate of Table 7 that appears on that
16 large oversized plate that was an attachment to that Lines
17 Bilhorn report, correct?

18 MR. DODSON: Yes, it is.

19 MR. HITCHINGS: The other overheads that you are going
20 to be putting up there are similar tables that are taken
21 directly from that plate; is that correct?

22 MR. DODSON: Yes, that is correct.

23 MR. HITCHINGS: Thank you.

24 MR. DODSON: I just want to use this table which is
25 Table 7 in that document and simply refer to the area or

1 subarea, estimated consumptive use of groundwater and
2 surface water by riparian vegetation along the Mojave River
3 during 1995; Transition Zone, the annual consumptive use,
4 the estimated use, is 6,000 acre-feet.

5 Now, let's come back to how that was derived. This is
6 very important in understanding how that 6,000 acre-feet
7 value is developed. What is done is this is the table that
8 identifies area and acres of health stressed riparian plant
9 communities which specific aerial densities along the Mojave
10 River in 1995, and the Transition Zone of the Alto subarea.
11 Area stressed plants is shown in parentheses. That is this
12 area in here. Those are the numbers that were inadvertently
13 left out of the original calculation in my testimony.

14 What you have is aerial density is 1 to 10 percent, 11
15 to 40 percent, 41 to 70, 71 to a hundred. This identifies
16 the total number of acres that are contained within each one
17 of those categories. Then you have a series of plant
18 communities: cottonwoods and willows and baccharis,
19 cottonwoods alone, mesquite, salt cedar and hydrophytes,
20 which are associated with open water.

21 MR. HITCHINGS: Can you note which table number that
22 was from the plate?

23 MR. DODSON: It's Table 2.

24 MR. HITCHINGS: Thank you.

25 MR. DODSON: This is Table 6. It is the estimated

1 average annual water use for specified aerial densities of
2 healthy riparian vegetation along the Mojave River. This is
3 water use in feet or acre-feet per acre. What is important
4 here is by taking these plant communities and multiplying
5 out the total amount of acreage in each category, you end up
6 with the value that is shown on Table 7, which is the annual
7 water use, consumptive water use of 6,000 acre-feet. It is
8 an important number we will be dealing with as we go along.

9 MR. HITCHINGS: What I would like to do, Mr. Chair, is
10 to at least mark these at this time. I think it would be
11 helpful to be able to use those rather than having to look
12 at a large oversized map since these are exact replicas of
13 the tables. We've marked those in order that they were just
14 reviewed, Table 7, Table 2 and Table 6, as exhibits within
15 Tom's testimony, so they could be VVWRA Exhibit 5E, F and G
16 in order.

17 H.O. BAGGETT: Great.

18 MR. HITCHINGS: Thank you.

19 MR. DODSON: The next component of the environment that
20 is critical to our discussions today was the water resource
21 issue. And again when you do a CEQA analysis what you do is
22 you say, "Was there an adequate set of information from
23 which to work?" Or you have to go back out and develop that
24 data. We had the benefit of starting this project in 1998
25 when the Mojave River Adjudication had been completed, the

1 stipulated judgment had been completed. And so we had a
2 wealth of data in front of us to utilize and rely upon.

3 A good portion of that data comes out of this document
4 which is Groundwater and Surface Water Relations Along the
5 Mojave River, Southern California. That is USGS report
6 95-4189. It is Exhibit 5D in our testimony.

7 We had identified that there are three primary sources
8 of water supplied to the Alto Transition Zone. Storm flows,
9 there are 63 years of records; 39,000 acre-feet of average
10 annual recharge in the middle stem of the Mojave River,
11 which includes the ATZ. On this map the middle stem goes
12 also all the way from the Lower Narrows here, up here to --
13 all the way to Barstow. It does not stop at Helendale.
14 That 39,000 acre-feet affects an area. It goes
15 approximately 40 miles of distance.

16 Base flow, the 57-year average for base flow is
17 approximately 19,684 acre-feet. Again, these numbers are
18 derived from this report that I have just referenced, which
19 is U.S. Geological Survey Report 95-4589. The base flow has
20 been declining. So to make sure that we didn't create and
21 average that was -- extended too far back in time, we went
22 back to the period of record that we had available to us at
23 that point in time, which was 1981 to 1994. During that
24 period of time, the average base flow, and that is the flow
25 of rising groundwater that goes through the weir that is

1 measured at the Lower Narrows, was 15,285 acre-feet. During
2 the period of record, that whole period, the lowest flow was
3 4,000 acre-feet that crossed over as base flow at the Lower
4 Narrows.

5 The defined water demand which we have just -- which I
6 just went through for riparian habitat was 6,000 acre-feet
7 based on the USGS report that I just referenced. That is
8 the first report, 96-4241, Exhibit 5C.

9 To meet this demand in combined flow, extracting out
10 the floods, storm flows, you have a range as follows: you
11 have 9,000 acre-feet of VVWRA discharge, which is current.
12 You have approximately 15,285 acre-feet on the average
13 across the Lower Narrows for the period of time, the 13
14 years from '81 to '94. That adds up to 24,000 acre-feet of
15 water.

16 The low volume, the lowest volume that would have
17 occurred, making the assumption that you hit another low,
18 would be 9,000 acre-feet plus the 4,000 acre-feet that is
19 the historic low flow that occurred in 1992, by the way,
20 and that flow would be 13,000 acre-feet.

21 Based upon those combined flows, you have additional
22 water beyond the demand by the plant community that ranges
23 from 7- to 13,000 feet, of acre-feet of water per year,
24 which means that is water above and beyond what would be the
25 cumulative demand by all the habitat identified between the

1 Lower Narrows and the end of that Alto Transition Zone,
2 which is at Helendale.

3 Worst case, if you subtracted the habitat demand solely
4 from the VVWRA discharge, which is 9,000 feet, you'd still
5 have 3,000 acre-feet of excess water beyond what the plant
6 community would require. The conclusion that was reached by
7 the Victor Valley Wastewater Recollection Authority Board
8 was that there was adequate water available within the
9 system after extracting the 1,680 acre-feet that would be
10 transferred to be able to support the fish and wildlife
11 resources and the public trust values that occur within
12 those areas.

13 Based upon that, the Board concluded that the initial
14 study and environmental evaluation was adequate and they
15 issued a mitigated negative declaration. The mitigation
16 measures being those that were necessary, for instance, to
17 implement and make sure there were no direct damage to
18 tortoises.

19 That concludes my testimony.

20 MR. HITCHINGS: Thank you.

21 The last witness on this panel is Peter MacLaggan.

22 Peter, if you could state your full name for the
23 record.

24 MR. MACLAGGAN: My name is Peter Michael MacLaggan.

25 MR. HITCHINGS: If you could identify your current

1 title and position.

2 MR. MACLAGGAN: I am an independent water resources
3 consultant among other things pertinent to this proceeding.
4 I serve as the legislative and regulatory director for
5 WaterReuse Association.

6 MR. HITCHINGS: And I would like to direct your
7 attention to Exhibit 7B and ask you whether that is a true
8 and correct copy of your resume.

9 MR. MACLAGGAN: That's correct.

10 MR. HITCHINGS: Could you then briefly summarize your
11 experience and qualifications.

12 MR. MACLAGGAN: I would be happy to do so. I have 21
13 years' experience in the water resources area. Bachelor of
14 Science in civil engineering and Juris Doctorate in law. I
15 am a registered civil engineer in the state of California
16 and admitted to practice law in the state of California. I
17 have -- my entire 21 years of professional experience has
18 been focused on the subject matter of water recycling.
19 First seven years were in the private sector, working as a
20 project engineer of two different manufacturers of water
21 recycling equipment, doing project development work. I have
22 spent 12 years as water reclamation director for the San
23 Diego County Water Authority and their planning director.
24 And the last three years I have been working as an
25 independent consultant serving as staff to the WaterReuse

1 Association.

2 MR. HITCHINGS: I would like to direct your attention
3 to VVWRA 7A and ask you whether that is a true and correct
4 copy of the written testimony you have prepared in this
5 matter?

6 MR. MACLAGGAN: Yes, it is.

7 MR. HITCHINGS: Are there any changes or corrections
8 that you would like to make to that?

9 MR. MACLAGGAN: None at this time.

10 MR. HITCHINGS: Would you summarize your testimony?

11 MR. MACLAGGAN: I would be happy to do so. The purpose
12 of my testimony is to address key hearing issue number
13 three. That issue is: Will the approval of VVWRA's
14 petition further the policy of Water Code Section 13550.

15 Tom, if you can put the first slide up.

16 Use of potable water for nonpotable uses constitutes a
17 waste and unreasonable use of water. Recycled water in
18 adequate quantities available to meet certain conditions.

19 I wanted to just touch upon the history of the statute,
20 the purpose of it and how it's been applied, and then go
21 into the specific application of the conditions to the
22 project that is before you under the petition.

23 The first enactment of Section 13550 was following the
24 historic drought in '76-77, and the purpose was to provide a
25 mechanism to require the use of recycled water, to make sure

1 that if those resources were available they were, indeed,
2 being used. There were several amendments to the statute
3 and subsequent sections were enacted by the Legislature,
4 most recently after the recent drought that took place
5 between '86 and '92, and in '92 the Legislature came back at
6 the request of WaterReuse Association and amended these
7 statutes.

8 There are now several statutes in addition to Section
9 13550. 551 addresses essentially the same requirements,
10 that it prohibits the use of sources of potable water if
11 recycled water is available in meeting the conditions of
12 13550. And the subsequent statutes through Section 554
13 address key applications of recycled water and declare them
14 to be nonpotable applications for which, if recycled water
15 is available, that it shall be used in lieu of potable
16 water. That includes virtually all types of irrigation,
17 agricultural and residential, landscape irrigation,
18 irrigation within new housing communities, industrial uses
19 such as cooling tower makeup water and air-conditioning, et
20 cetera, and flushing of toilets in nonresidential
21 structures.

22 The use of this statute has been primarily a vehicle
23 where at the local levels the agencies can adopt ordinances
24 mandating the use of recycled water to assure when the
25 projects are built and operable that there will be a viable

1 market for that water, and that that water will be put to
2 beneficial use. This provides the basis for a number of
3 local ordinances that have been adopted throughout the
4 state.

5 At this point in time there is no petition before the
6 Board with respect to the VVWRA project. However, if there
7 were such a petition being considered by the Board at this
8 time it would be my opinion that this is exactly the type of
9 project that was contemplated when the Legislature passed
10 these statutes.

11 Section 13550 is one of more than a hundred statutes
12 that have been adopted by State Legislature addressing
13 recycled water. They began passing laws in this area in
14 late '60s, contemplating the need for expanded water
15 supplies and have been aggressively expanding this body of
16 law for the last ten years, and 40 statutes have been passed
17 by the Legislature, suggesting that there is a significant
18 public policy issue at stake here.

19 We also have adopted specific recycling goals. CalFed,
20 the Bay-Delta program, the framework agreement, Record of
21 Decision that was passed earlier this year, was approved
22 earlier this year, has an extensive water recycling program.
23 State Board has adopted a policy and action plan for water
24 reclamation. And the State Water Resource Control Board,
25 the WaterReuse Association and six other state and federal

1 entities have adopted a statement of support for recycled
2 water.

3 With this sort of policy background, we need to just
4 analyze what is the purpose and why are we doing this. The
5 focus and the policy that is clearly articulated in this
6 body of statutes, regulations and so on is that the
7 development of recycled water is being encouraged and
8 promoted throughout the state, and specifically to
9 supplement existing water supplies and do so in a fashion
10 that encourages the beneficial use of those resources.

11 CalFed in the framework agreement adopted in July and
12 the ROD approved in August of this year define recycled
13 water as an indispensable component of the CalFed solution
14 of multiple benefits accruing to the Bay-Delta systems,
15 specifically enhancement of water supply reliability,
16 improvement of ecosystem restoration programs because you
17 are now taking water and using it twice instead of diverting
18 another acre-foot of water from the Delta. Therefore,
19 lessening the impacts to fisheries through diversions across
20 the Delta.

21 Lastly, there is water quality improvements accruing to
22 the Delta because, again, you have control of additional
23 higher quality water in the system, and it stays in the
24 system instead of being diverted out of Delta uses. CalFed,
25 based upon an attempt to increase these benefits, to address

1 growing needs in the urban sector, agricultural sector and
2 environmental water uses, has adopted specific goals for
3 recycling statewide.

4 In the next seven years the so-called Stage I
5 Implementation Program that was begun in August of this
6 year, there is 225,000 to 310,000 acre-feet of new water to
7 be developed per CalFed's goals. Over the long haul,
8 between now and 2020 CalFed would like to see 1.6 to 2.1
9 million acre-feet of recycled water being additionally used
10 from the State of California.

11 What does this mean in the context of where we are with
12 reuse today? We are reusing roughly a half million
13 acre-feet in the state of California, so there is a
14 50-percent increase to be accomplished in the next seven
15 years, three- to fourfold increase in recycling production
16 the next 20 years, significant objective.

17 Past experience has shown that the goals in California
18 for recycling will not be met without significant commitment
19 from the State Board and the rest of the CalFed agencies.
20 What we have seen is that the Legislature adopted a goal for
21 recycling in '91, a year 2000 goal of 700,000 acre-feet and
22 came up 200 short. There is a million acre-feet to be on
23 line by the year 2010. If we do not do everything possible
24 before us to remove all the impediments to recycling, we
25 won't achieve that goal as well.

1 What I would like to do in the remainder of my
2 testimony is just focus on the specific criteria in Section
3 13550, and, Tom, you can put the next slide up.

4 How the VVWRA project either conforms or does not
5 conform to these criteria?

6 There are essentially four key criteria within the
7 statute. First of all, for the use of potable water to be
8 prohibited, if and when recycled water is available, each of
9 these criteria must be met. Recycled water must be
10 available and it must be of adequate quality to the end
11 user. It must be available to that user at a reasonable
12 cost. Recycled water use must not be detrimental to public
13 health. And lastly, the use of recycled water will not
14 adversely affect downstream water rights and will not
15 degrade water quality and will not be injurious to plants,
16 fish and wildlife.

17 Tom, next slide, please.

18 With respect to the water quality criteria. Again that
19 criteria being the source of recycled water must be of
20 adequate quality. The VVWRA recycled water has a TDS on
21 average of less than 300 milligrams per liter. Typical
22 recycled water quality being used throughout Southern
23 California today is a thousand milligrams or less is deemed
24 generally acceptable. Depending on what you're irrigating,
25 a thousand may or may not be adequate. But, certainly, just

1 about any crop known in ornamental, horticulture arena
2 should be able to get by just fine with 300 TDS. The
3 conclusion I would draw from this information is that water
4 quality from the VVWRA facility is, from a horticulture
5 standpoint, is adequate quality for the intended uses.
6 Furthermore, from a public health criteria, microbial
7 quality of that water is also deemed suitable simply by
8 complying with the requirements of the State Health
9 Department.

10 Next slide, please, Tom.

11 The State Water Control Board has rendered two formal
12 decisions on Section 13550 and its application to proposed
13 uses of recycled water. In both cases the first two
14 criteria were the most hotly contested issues, the quality
15 question and the cost question. For the cost question the
16 cost incurred by the individual user of the recycled water
17 must be comparable to or less than the cost of supplying
18 potable domestic water current in the objective.

19 In those two decisions rendered by the State Board they
20 determined that this cost is to include all costs to that
21 user to get it to the property, to use it on site, any
22 associated costs incurred by the user to make use of that
23 water once they receive it. What I've provided by way of a
24 comparison, which is not necessarily an all end number, but
25 gives you a pretty good indication of where we stand on this

1 criteria is that the current potable water used at SCLA
2 costs the City of Victorville \$267 per acre-feet.

3 Recycled water is proposed to be purveyed to the city
4 in lieu of the use of potable water today at somewhere
5 between 75 and \$85 per acre-feet. That is assuming that the
6 additional cost to take that water on the golf course and
7 put it to beneficial use is less than \$180 per acre-feet.
8 We find that the cost of the recycled water is comparable to
9 of less than the cost of supplying potable domestic water.

10 Go back to Slide 2, please, Tom.

11 The next criteria is the issue about public health.
12 The use of recycled water will not be detrimental to public
13 health. And here we have Mr. Gallagher's testimony that
14 provides that they are in the process of permitting the
15 project; they have committed to comply with the Department
16 of Health Services water recycling water criteria contained
17 in Title 22 of the California Code of Regulations. Thus the
18 reclamation reuse to take place at SCLA will provide
19 adequate treatment, treatment plant reliability and effluent
20 quality to ensure that the use will not impact public
21 health. Therefore, we did conclude from that that this
22 project will not be detrimental to public health.

23 The remaining criteria or set of criteria -- here I
24 will just briefly summarize where we stand on each of
25 those. The impact to downstream water rights. First of

1 all, I am not aware of any legal user located downstream
2 from the point of discharge whose ability to divert water or
3 exercise their water right will be affected by the proposed
4 project.

5 Secondly, as proposed by Mr. Gallagher's testimony, the
6 implementation of water reclamation at SCLA will probably
7 increase gradually at a rate that is slower than that of the
8 increased discharge from the treatment plant. Therefore,
9 we can conclude that there is going to be a consistent
10 amount of water that will remain in the stream under this
11 petition.

12 Lastly, the SCLA is substituting one source of water
13 for another. There is no net increase in water use. They
14 are simply going to go off the potable water supply being
15 extracted from the ground and use an equivalent amount of
16 recycled water. So, I would find that the use of the
17 recycled water would not adversely affect downstream water
18 rights.

19 With respect to the degradation of water quality, we
20 are now talking about, when you apply the recycled water to
21 the golf course and the other landscaped areas around the
22 air park, what happens to the underlying ground basin and
23 the quality downstream is that return flow migrates back
24 into the system.

25 And here we heard from Mr. Gallagher. VVWRA Exhibit 1L

1 concluded that the use of recycled water at SCLA would
2 accomplish three things. First and foremost, it would be
3 consistent with the State Board's antidegradation policy,
4 Policy No. 6816. Secondly, it would comply with the basin
5 plan objectives contained in the Mojave Basin Plan. And
6 lastly, it would not adversely affect the beneficial uses of
7 groundwater in the upper or lower aquifers.

8 So from this we can conclude that the use of recycled
9 water will not adversely affect groundwater quality. With
10 respect to the plants, fish and wildlife, we just heard
11 testimony from Mr. Dodson and his Exhibit 5, VVWRA 5, the
12 charge in the point of use, purpose of use and point of
13 discharge of 1,680 acre-feet of recycled water will have no
14 potential to adversely affect fish, wildlife and plant
15 materials or public trust resources in the Transition Zone.
16 This coupled with Mr. Gallery's testimony about the gradual
17 increase in diversions from the river, coupled with the
18 increase in discharge from the plant should conclude that
19 there will be no net impact to -- that will be injurious to
20 fish, wildlife or plant resources.

21 In summary, I would conclude that the project is
22 consistent with the terms and conditions of Section 13550.
23 Furthermore, granting the permit would further state policy,
24 including the State Board's policies with respect to
25 recycled water development and the need to encourage and

1 promote those activities, and lastly, would remove
2 impediment for the proposed project that would provide a
3 meaningful contribution to the State's resources.

4 That would conclude my testimony, Mr. Hitchings.

5 MR. HITCHINGS: Thank you.

6 That is it for the direct testimony for this panel.

7 H.O. BAGGETT: Any other witnesses.

8 MR. HITCHINGS: That's it for our direct case in
9 chief.

10 H.O. BAGGETT: I guess I will assume all parties would
11 cross-examine. How long should -- should we take a break?

12 Let's take five minutes and then we will come back with
13 cross-examination.

14 (Break taken.)

15 H.O. BAGGETT: Continue.

16 ---oOo---

17 CROSS-EXAMINATION OF SECOND PANEL

18 VICTOR VALLEY WATER RECLAMATION AUTHORITY

19 BY DEPARTMENT OF FISH AND GAME

20 BY MS. MURRAY

21 MS. MURRAY: Nancee Murray, counsel for Department of
22 Fish and Game. My first series of questions is going to be
23 for Mr. Carlson.

24 Is your testimony at Paragraph 9 in Exhibit 4D that is
25 derived from -- refer to Paragraph 9, focuses on water year

1 1998.

2 Why 1998 only?

3 MR. CARLSON: We did this work in the spring and
4 summer of '99. It was the latest data that we have access
5 to.

6 MS. MURRAY: Did you do any analysis for any other
7 water year?

8 MR. CARLSON: No, we did not.

9 MS. MURRAY: Did you create Figure 2, VVWRA Exhibit 4D?

10 MR. CARLSON: I personally did not. My assistant,
11 Dave Brown, did. I reviewed it.

12 MS. MURRAY: How far away from the river were the wells
13 used to generate the data for Figure 2?

14 MR. CARLSON: The map I have shows the location of the
15 wells that were used to generate Figure 2.

16 MS. MURRAY: Is this a VVWRA exhibit?

17 MR. CARLSON: No, it is not.

18 MR. KIDMAN: I wonder if that can be put up so
19 everyone can see it.

20 H.O. BAGGETT: Do you have an overhead or --

21 MR. HITCHINGS: It's VVWRA Exhibit 4C.

22 MR. CARLSON: It is Exhibit 4C, but what are added to
23 it are the location of the wells that were used to generate
24 the cross-section.

25 MS. MURRAY: That is very important information as to

1 where the wells are.

2 H.O. BAGGETT: I would concur. If you can show us.

3 MS. MURRAY: Can we all get copies of that?

4 MR. HITCHINGS: Yes, we can. We have no objections
5 providing that map. The base map itself is what is Exhibit
6 4C now of VVWRA's testimony and exhibits. That is the same
7 base map, but on top of that the actual locations of the
8 wells used for VVWRA Exhibit 4D are plotted on that map.

9 H.O. BAGGETT: That would be useful.

10 MS. MURRAY: This is -- there is another -- this is
11 really important information where the wells are, so I want
12 to just -- while I am going forward, do you have another one
13 to give?

14 H.O. BAGGETT: Do you have additional copies or just
15 the one?

16 MS. MURRAY: That is one that has the wells plotted?

17 MR. CARLSON: No. There is only one that exists.

18 H.O. BAGGETT: You can continue and --

19 MS. MURRAY: In order to not slow us down as much as
20 possible. I don't know if you recall now that we have it
21 away from you, but do you recall how many production wells
22 are in the study area referred to in your Paragraph 9?

23 MR. CARLSON: To my knowledge, there were no production
24 wells that were used to generate that cross-section. I
25 don't know the answer to how many production wells are in

1 the area. That was on Exhibit 4C.

2 MS. MURRAY: In Paragraph 11 of your testimony you
3 refer to the amount of water needed to maintain surface
4 flows from the VVWRA treatment plant to Bryman Road. Why
5 does your analysis of surface water stop at Bryman Road?

6 MR. CARLSON: Our analysis of surface water did not
7 stop at Bryman Road. That merely is a sentence that
8 describes how much water would be needed to maintain flow at
9 Bryman Road.

10 MS. MURRAY: In other parts of your testimony you again
11 refer to maintain habitat as far as Bryman Road. Is there a
12 reason why you chose to refer to Bryman Road as far as
13 assuming that was as far as habitat was located?

14 MR. CARLSON: I was told, I can't recall by whom, that
15 Bryman Road was an important demarcation point, but I don't
16 believe it was the absolute boundary of anything.

17 MS. MURRAY: Could you please turn to Figure 3 of your
18 testimony, VVWRA Exhibit 4E? And is Bryman Road indicated
19 on Figure 3 by the bold horizontal line?

20 MR. CARLSON: Yes, it is.

21 MS. MURRAY: Does that, as you testified earlier,
22 Bryman Road is about three and three-quarters miles
23 downstream of the treatment plant?

24 MR. CARLSON: That's right.

25 MS. MURRAY: Does Figure 3 indicate surface water past

1 Bryman Road in any water years?

2 MR. CARLSON: Yes, it does.

3 MS. MURRAY: Which water years?

4 MR. CARLSON: It would be all the water years marked on
5 the map, except for 1987 and 1989. So it would be -- do you
6 want me to read off all the numbers?

7 MS. MURRAY: No. So your testimony is there is surface
8 water past Bryman Road in at least a number of years as
9 indicated on your figure?

10 MR. CARLSON: That is what we saw on the aerial photos,
11 yes.

12 MS. MURRAY: Mr. Dodson, I would like to just briefly
13 turn to a portion of your testimony at this time.

14 Is it true that your written testimony at Page 4,
15 Paragraph 10, reads:

16 From VVWRA's discharge points to
17 approximately five miles downstream surface
18 flows now persist all year round within the
19 Mojave River channel. (Reading.)

20 Is that correct, Paragraph 10?

21 MR. DODSON: Bear with me. I was in the wrong spot.

22 That is correct. It is also consistent with that
23 graph.

24 MS. MURRAY: Mr. Carlson, let's return to Figure 3,
25 your VVWRA Exhibit 4E, using 1995, would you agree that the

1 figure indicates that the extent of river flow downgradient
2 of the VVWRA plant is approximately 5.2 miles with a
3 discharge to the Mojave River of approximately 10 cfs?

4 MR. CARLSON: That is what the figure shows. That
5 would have been at a particular time in 1995. I don't
6 remember the exact data we used, basically summer low flow
7 conditions.

8 MS. MURRAY: I don't know if you have a calculator
9 handy, but isn't it true converting cfs to acre-feet, using
10 724 acre-feet per year, is 1 cfs; and then going the 10.1
11 miles, approximately ten miles, would be 7,312 acre-feet?

12 MR. CARLSON: Repeat the -- I've got my crib sheet of
13 conversion factors.

14 MS. MURRAY: Converting that cfs, so we have
15 approximately 5.2 miles with a discharge to the river of
16 approximately 10 cfs, converting the 724 acre-feet per year
17 is 1 cfs and times the 10.1 miles would be approximately
18 7,312 acre-feet per year.

19 MR. CARLSON: I don't follow your calculation. Let's
20 go through one step at a time.

21 MS. MURRAY: So we are at your point for 1995?

22 MR. CARLSON: Correct.

23 MS. MURRAY: And we have -- we are going to convert
24 acre-feet to cfs there, 10 cfs into acre-feet.

25 MR. CARLSON: Okay.

1 MS. MURRAY: We have 724 acre-feet per year equals 1
2 cfs.

3 MR. CARLSON: I get 714, but that is close.

4 MS. MURRAY: 714 times the 10.1 cfs is approximately, I
5 have, 7,312, but maybe 7,300 or so acre-feet?

6 MR. CARLSON: Close.

7 MS. MURRAY: To maintain the habitat or to maintain the
8 surface flow that far at your point in 1995 would be 7,300
9 acre-feet a year?

10 MR. CARLSON: That is where that line intersects those
11 points, yes.

12 MS. MURRAY: Taking that 7,300, divided by the 5.2
13 miles that we are, it is about 1,406 acre-feet per mile to
14 get it there?

15 MR. CARLSON: You've divided the 5.2 miles and the --

16 MS. MURRAY: 7,300 acre-feet we just got.

17 MR. CARLSON: Correct. That is what I get, 1,400.

18 MS. MURRAY: 1,400 acre-feet per mile to get that amount
19 of water --

20 MR. CARLSON: That is when you correlate between the
21 5.2 and the zero.

22 MS. MURRAY: In your Paragraph 12 you indicate a
23 seepage rate of approximately 1,100 acre-feet per mile. We
24 just went through a calculation that got us closer to 1,400
25 acre-feet per mile; isn't that correct?

1 MR. CARLSON: That's correct. The 1,100 acre-feet per
2 mile refers to the part of the stream represented by the
3 straight line in that chart.

4 MS. MURRAY: Let's talk about that straight line.

5 MR. CARLSON: What it suggests is that the infiltration
6 rate is higher closer to the plant, which you'd expect
7 because there is more flow and probably more width of stream
8 in the area closer to the plant.

9 MS. MURRAY: The 1,100 acre-feet per mile does not
10 apply near the treatment plant?

11 MR. CARLSON: The 1,100 acre-feet per mile applies to
12 the area between -- the area depicted by that black line on
13 that chart which would be two and a half miles to 5.8
14 miles. That's the area that we fit to the curve.

15 MS. MURRAY: Looking at that line and with the
16 equation that you have of up here in the top left part of
17 your exhibit, in your Figure 3, what if X is 0, which is
18 VVWRA discharge to the river, what would your Y, which is
19 the extent of river flow downgradient, be?

20 MR. CARLSON: It would intersect -- it would be at 1.63.

21 MS. MURRAY: Your equation of Y equals $.66X$ minus 1.63,
22 wouldn't your Y be a negative number?

23 MR. CARLSON: Well, the fitting of those data is only
24 appropriate within the zone in which you have data. I can't
25 say anything about the continuation of that solid or that

1 best fit line to the -- basically to the left of the X axis,
2 to the left of 6 cfs number. I can't say anything about
3 that.

4 MS. MURRAY: You wouldn't continue the line on because
5 as you continue this line, when you have zero discharge, you
6 do, in fact, get a negative number?

7 MR. CARLSON: Well, when you continue -- well, if you
8 continue the line. But as I say, I don't think that is
9 appropriate.

10 MS. MURRAY: Because your analysis of 1,100 acre-feet
11 per mile applies only between river mile two and a half to a
12 little less than six?

13 MR. CARLSON: That's -- yes, that's correct.

14 MS. MURRAY: You clarified earlier about this vertical
15 line in Figure 3 at -- sorry, vertical line that's dashed,
16 proposed discharge to the Mojave River in around nine?

17 MR. CARLSON: Correct. That's a proposal that may or
18 may not be current. It is as if they were to all happen
19 today. Sort of a maximum impact.

20 MS. MURRAY: Isn't the current proposal actually closer
21 -- actually two? That is what VVWRA has currently proposed
22 to discharge, to guarantee the discharge to the river?

23 MR. CARLSON: I don't know that that is the proposal.

24 MR. HITCHINGS: I am going to object as misstating the
25 testimony. I think the proposed discharge to Mojave River,

1 that was clarified during the direct.

2 H.O. BAGGETT: Rephrase.

3 MS. MURRAY: Is it -- have you -- did you read Mr.
4 Gallagher's testimony?

5 MR. CARLSON: Yes, I read it. Most of it.

6 MS. MURRAY: Do you recall the part of his testimony in
7 which he offers to guarantee a discharge of 2,000 acre-feet
8 to the river?

9 MR. CARLSON: No, I did not.

10 MS. MURRAY: You don't recall that part of his
11 testimony?

12 MR. CARLSON: I don't remember reading that part of his
13 testimony.

14 MS. MURRAY: Well, actually I do have one more question
15 about the 2,000 acre-feet. Assuming Mr. Gallagher has
16 testimony in which he says that he will -- VVWRA would offer
17 to put 2,000, discharge 2,000 acre-feet. Using your seepage
18 rate or using your graph, how far downstream would that
19 2,000 acre-feet go?

20 MR. CARLSON: I haven't done that calculation.

21 MS. MURRAY: You can't tell that from your graph
22 because your graph seepage rate doesn't apply until you get
23 to past two miles?

24 MR. CARLSON: That's correct.

25 MS. MURRAY: So you don't know the answer?

1 MR. CARLSON: If the discharge were only 2,000, it
2 would be less than what we are showing on this graph. So I
3 can't speak to what that computation, what the exact number
4 would be because I don't have any data upon which to base an
5 opinion.

6 MS. MURRAY: Mr. Carlson, at Paragraph 13 of the
7 testimony you state:

8 It is understood that there will be -- it is
9 understood that there will be an
10 approximately equal, offsetting reduction of
11 groundwater pumping at the golf course and
12 other areas of up to 16,080 acre-feet per
13 year. (Reading.)

14 In other words, there will be no increase in the
15 consumptive use of water. Do you recall that testimony?

16 MR. CARLSON: Yes, although it was 1,680.

17 MS. MURRAY: Is it possible for the groundwater wells
18 that were used to bring water for the golf course to be used
19 for other purposes?

20 MR. CARLSON: Yes.

21 MS. MURRAY: Do you recall me earlier asking Mr.
22 Gallagher about the statement in the CH2MHill report, which
23 is VVWRA Exhibit 1L at Page 12 that refers to a blend of
24 groundwater and return flow?

25 MR. CARLSON: I recall you asking the question.

1 MS. MURRAY: Would your conclusion that there will be
2 no increase in the consumptive use of water change if the
3 wells continue to be pumped and were used for other
4 purposes?

5 MR. CARLSON: There would be no change in consumptive
6 use at the point of application of the water. If you
7 separate out the -- what is going on at the golf course
8 itself, which is currently irrigated with groundwater, to be
9 replaced about reclaimed water. This is all against a
10 backdrop of a groundwater basin in overdraft where growth is
11 occurring, but that is not what we are talking about here.
12 We are talking about the replacement of one water use from
13 one -- derived from one source to the same amount of use
14 from another source. So, in my opinion, there would be no
15 increase in consumptive use.

16 MS. MURRAY: Even if those same production wells were
17 then used for something else, another use at that --

18 MR. CARLSON: Pumping a well is not a consumptive use.
19 The consumptive use is the evaporation of the water that is
20 applied to that point of use.

21 MS. MURRAY: Would your conclusion that there would be
22 no increase in the consumptive use of water change if the
23 golf course uses a blend of groundwater and water from the
24 VVWRA in order to increase the TDS?

25 MR. CARLSON: I can't speak to the use of a blend of

1 water. If there were a blend of surface -- of groundwater
2 and reclaimed water and the same amount of water applied,
3 there would be no increase in consumptive use when we are
4 talking about the same area.

5 MS. MURRAY: At your Paragraph 5, you testify that
6 there is, hydrologic continuity exists between the Mojave
7 River and the groundwater in the area; is that correct?

8 MR. CARLSON: That is correct.

9 MS. MURRAY: And then in your oral statement you went
10 through Figure 2 and you mentioned that somewhere around,
11 and correct me if I am wrong, ten feet the system becomes
12 decoupled. Is that your demarcation line, 10 feet?

13 MR. CARLSON: No, it is not. I actually didn't say
14 that it becomes decoupled at ten feet. What I said, it
15 suggests or indicates that if the groundwater level is that
16 far below the streambed it may be decoupled. I don't know
17 for a fact that it is decoupled. But the fact is ten feet
18 is a fairly deep and discernible depth below the streambed.

19 MS. MURRAY: Could you point out on the map you are
20 using, our exhibit or yours, where you believe the stream is
21 coupled and where you believe it decoupled. In your
22 testimony you say that in some areas it is coupled and in
23 some areas it is decoupled. We are not clear as to where
24 you think it is coupled and where you think it is
25 decoupled.

1 MR. CARLSON: The best way would be to look at Figure 2
2 where the groundwater level is above or at or near the
3 ground surface. One place would be right near the treatment
4 plant itself.

5 H.O. BAGGETT: Can you put it up for us. I think this
6 is a fairly critical issue.

7 MR. CARLSON: Certainly up near the Narrows. Near the
8 Narrows it is coupled. The groundwater level is very close
9 to the surface and even above. At the wastewater treatment
10 plant itself it appears to be very close to the surface.
11 This area here around Bryman Road, although we are not sure
12 about this because of the question marks that are attached.
13 These other areas it appears these areas where the ground
14 level is deep, it appears not to be coupled or at least
15 below the -- significantly below the streambed, based on our
16 review of the USGS data.

17 In all areas, though, except right near the Narrows,
18 the groundwater level, at all areas except the Narrows and
19 Bryman Road, the groundwater level appears to be below the
20 streambed, so the streambed is leaking into the groundwater
21 in those areas.

22 MS. MURRAY: And what is the significance in your words
23 of areas of this concept of coupling and decoupling?

24 MR. CARLSON: In areas where the groundwater is
25 decoupled from the surface water it means that the leakage

1 rate from the streambed is independent of the groundwater
2 levels. That is to say the stream is leaking as fast as it
3 can. In areas where it is coupled, if you lower the
4 groundwater level to some degree you will increase the
5 leakage. But eventually if the groundwater level falls far
6 enough, it will become decoupled and the stream will
7 basically leak as far as it can, but it can't keep up with
8 the groundwater.

9 MS. MURRAY: Keeping on this figure, actually, first
10 assuming you are correct and that there are certain
11 decoupled and coupled areas, I have a series of questions.

12 Do you think recharge to groundwater is different in
13 decoupled and coupled areas?

14 MR. CARLSON: I don't know what you mean by different.

15 MS. MURRAY: Is there a different rate?

16 MR. CARLSON: The rate -- there is different
17 mathematics that describes the rate of -- I would use the
18 term infiltration from the stream as opposed to recharge.
19 There are different rates of infiltration. The infiltration
20 in a decoupled area is controlled by the properties of the
21 streambed itself.

22 In an area where it is coupled, it is controlled by the
23 properties of the streambed and the difference in water
24 levels between the stream and the groundwater. So there is
25 an additional component that you need to take into account.

1 MS. MURRAY: So the infiltration rates are different?

2 MR. CARLSON: That's correct.

3 MS. MURRAY: Which infiltration rate would be greater
4 and why?

5 MR. CARLSON: Well, you can't say which infiltration
6 would be greater from place to place, whether it is coupled
7 or decoupled. As I said, it is a product of several
8 components. For example, in an area of very high
9 permeability, streambeds, you can get a rapid rate of
10 infiltration even though the stream still may be coupled.

11 On the other hand if the streambed permeability were
12 low and the groundwater level were deep, you can have a
13 lower infiltration rate. As I say, to compute the
14 infiltration rate you need to take into account the
15 properties of the streambed and, if needed, the elevation of
16 the water levels, the relative water levels between the
17 stream and the groundwater.

18 MS. MURRAY: And if you were to reduce the flow to
19 2,000 acre-feet, would you think that would increase the
20 amount of the decoupled area? Again, assuming the
21 coupled-decoupled concept is true.

22 MR. CARLSON: Well, it really would have that tendency.
23 Whether or not it would I can't say.

24 MS. MURRAY: It would have that tendency, though.
25 Would that tend to eventually tend to lower the water

1 table?

2 MR. CARLSON: If that were the only component that
3 we're changing, then it would.

4 MS. MURRAY: Then, again assuming your seepage rate of
5 1,100 acre-feet per mile, a decrease in the VVWRA discharge
6 of 1,680 acre-feet would decrease the amount of wetted river
7 by over a mile; is that correct?

8 MR. CARLSON: A decrease of 1,680 would reduce the full
9 extent of river flow by over a mile, correct. I think it is
10 about one and a half or something like that.

11 MS. MURRAY: You're very close at one and a half.

12 Mr. Dodson or Mr. Carlson, are you aware of the Army
13 Corps of Engineers' policy of no net loss of wetlands?

14 MR. DODSON: Yes, we are.

15 MS. MURRAY: Are you aware of the Regional Board's
16 policy of no net loss of wetlands?

17 MR. DODSON: Yes.

18 MS. MURRAY: Is it your testimony that a loss of over
19 one mile of wetted river is in accordance with those
20 policies?

21 MR. DODSON: I don't think those two equate to one
22 another. They are apples and oranges, because you're making
23 the assumption that the stream, surface stream itself, is
24 creating the riparian habitat. We don't agree with that.
25 That is one of the conclusions that Mr. Carlson's presented.

1 He believes that most of the riparian area, specifically the
2 areas that you have identified as decoupled, but below the
3 surface, the riparian habitat is using the groundwater.

4 MS. MURRAY: It does not need surface flow?

5 MR. DODSON: It does not require surface water.

6 MS. MURRAY: By decreasing the amount 2,000, that would
7 not have an effect on the plants because they can use the
8 groundwater?

9 MR. DODSON: No, ma'am. That's a different question
10 than you asked before.

11 MS. MURRAY: So if we decrease the amount by 2,000 is
12 it your testimony, Mr. Dodson, that that will not have a
13 significant impact on the riparian area?

14 MR. DODSON: I am going to beg the question in the
15 following way. That is not what is being proposed. What is
16 being proposed is an allocation of a constant 2,000
17 acre-feet from VVWRA discharges. It has nothing to do with
18 how much additional water they might discharge, and,
19 therefore, I can't answer your question because I haven't
20 evaluated it. But I don't think it applies.

21 MS. MURRAY: A different question is: Is it your
22 testimony that the loss of over one mile of wetted river
23 would not have a significant effect on the riparian area?

24 MR. DODSON: I don't necessarily believe that, no.
25 Again, because I think it is -- I believe from what we have

1 looked at the majority of the habitat that is downstream,
2 based upon these data, is relying upon groundwater. And
3 that groundwater component is not dependent upon just that
4 stream flow. It is dependent on base flow and to quote a
5 section out of your person's comments, it is also dependent
6 on recharge by the storm flows each year.

7 And so to say that change in what VVWRA might do would
8 consequently change the level of groundwater and, therefore,
9 affect riparian habitat, I can't draw that conclusion.

10 MS. MURRAY: You draw the reverse conclusion, that they
11 will have no impact?

12 MR. DODSON: No. I think that we are approaching the
13 area where you are reaching the limits of the riparian
14 habitat at the distances that were shown on here. And my
15 sense right now is that there is no way to predict exactly
16 what will happen with the data we have, but, again, there is
17 sufficient groundwater there and there is sufficient water
18 flowing through the system to maintain that groundwater,
19 those groundwater levels, at this point in time, in my
20 opinion, based upon data that I have reviewed.

21 MS. MURRAY: I want to make sure I understand. So we
22 are talking about a loss of approximately 1.5 miles of
23 wetted river. And is it your opinion that you don't know
24 because there is not enough data to tell you whether or not
25 that will have any impact on the riparian area? That is

1 what I heard you say.

2 MR. DODSON: Wait just a moment. Lisa wants to add a
3 comment here. She is letting me know. Lisa is an expert
4 with the Corps, and I think she should be allowed to make a
5 comment on this particular case.

6 MS. KEGARICE: Your comment or question about the
7 no-net loss policy of the Army Corps of Engineers and the
8 Regional Water Quality Control Board as it pertains to
9 Section 401 of the Clean Water Act is a policy that the
10 Corps utilizes when issuing permits for discharge of fill
11 material into waters of the United States and doesn't really
12 have anything to do with what VVWRA is proposing.

13 MS. MURRAY: Thank you for that clarification. And
14 your testimony --

15 Could you answer my question, Mr. Dodson? I believe
16 from what I heard you testify to, you're saying, you're
17 acknowledging 1.5 miles loss of wetted river, you are saying
18 you don't know?

19 MR. DODSON: I'm saying that I don't believe the
20 groundwater table would necessarily be lowered and would
21 cause riparian habitat to decline or be stressed.

22 MS. MURRAY: So you're saying the loss of 1.5 miles of
23 wetted river would not stress that riparian habitat in those
24 1.5 miles, losing the surface flow?

25 MR. DODSON: You're making some assumptions in here

1 which I don't necessarily agree with. First, I don't agree
2 that there is riparian habitat along that whole 1.5 miles
3 after we get down past the four miles at which the water
4 would remain above the surface.

5 MS. MURRAY: I think you testified to five miles.

6 MR. DODSON: Yes, I did. But if you asked me past the
7 five mile mark, my conclusion is still the same because the
8 distance that this remains at is approximately -- may I have
9 the --

10 This distance right in here, past, is approximately
11 five miles, is approximately five miles to the point where
12 you see that, that line would be, and that is based upon
13 1998 data, no additions of water, VVWRA flows, which are
14 occurring and raising that value. So what I am telling you
15 is I do not think that by relocating the discharge to the
16 1,680 acre-feet that we are going to have an adverse impact
17 on that riparian habitat, significant adverse impact. That
18 means measurable.

19 MS. MURRAY: Back to Mr. Carson. I am going to give
20 you a -- hand you a piece of paper. It is a table from a
21 USGS report that is referenced in DFG Exhibit 2, and this
22 goes to the production wells. This is Page 55 of the
23 regional water table, 1998 and groundwater level changes in
24 the Mojave River and the Morongo groundwater basins, San
25 Bernardino, California, Water Resources Investigations

1 Report 00-4090, referenced in DFG Exhibit 4. What we have
2 verified once we got you well production -- let's first --

3 We have here highlighted two wells that are in an
4 identical location, 13H1 and 13H2.

5 Do you want me to -- I can get you clarification of
6 that.

7 MR. CARLSON: Sure. I would like to know where they
8 are.

9 MR. DODSON: If you will bring the view graph, I will
10 put it up also, please.

11 MS. MURRAY: We believe from your well 3H1 and 2 is
12 higher up. It is nine miles or so down, bull's-eye.

13 Mr. Carlson?

14 MR. CARLSON: Yes.

15 H.O. BAGGETT: What are we looking at?

16 MS. MURRAY: We are looking at -- these were wells that
17 were used to generate this Figure 2.

18 H.O. BAGGETT: I understand that, but where are they?
19 Both of them?

20 MS. MURRAY: We're getting to the point where only one
21 well was used. Here we have two wells that are in the same
22 location, approximately nine miles below or nine miles
23 downstream of the Lower Narrows. 13H1 as indicated here in
24 the USGS report has screener perforated interval 90 to a
25 hundred feet, with a 1998 depth to water of 14 feet and the

1 well at the identical location, screener perforated interval
2 at 15 to 25 feet, with a 1998 depth to water of 1.62 feet.

3 Between the two wells which one would you think is more
4 appropriate based on the USGS table? Which one is most
5 appropriate as a measure of the shallow water table, 13H1 or
6 13H2?

7 MR. CARLSON: It would be the shallower well.

8 MS. MURRAY: So that would be 13H2 on the chart.

9 Now, according to our review of your map, you used 13H1
10 which was 90 to a hundred feet at the same location which
11 then on your Figure 2 does drop down your groundwater
12 elevation along the groundwater surface?

13 MR. CARLSON: That is true.

14 MS. MURRAY: Why did you use it for the same location
15 when you had a choice of a 15-foot well or a 90-foot well?

16 MR. CARLSON: All I can say is for some reason we did
17 not get the data for 13H2; that is all I can say. It is not
18 on the chart.

19 MS. MURRAY: Would you agree that using Figure 2, which
20 is a very important part of your testimony, using data from
21 a 90-foot well versus a 15-foot well would then change the
22 results of the line in Figure 2?

23 MR. CARLSON: It would tend to move the line up a
24 bit, and, of course, we are getting near Helendale where
25 there is a fault and the groundwater barrier actually would

1 explain a little bit of the anomaly, that we saw as we get
2 towards the Helendale Fault I am told that the groundwater
3 dam that should back up groundwater and cause groundwater to
4 basically back up right there. So the data from 13H2 that
5 you supplied me would tend to support that.

6 So in that area the groundwater level would not be as
7 deep, but it is still below the river level, still below the
8 ground surface, apparently.

9 MS. MURRAY: One foot, 1.62 feet, approximately, based
10 on the USGS tables, and there are some less than a foot and
11 some, some dates in '98, but it ranges far less than the --

12 H.O. BAGGETT: Is that a question for the witness?

13 MR. CARLSON: We didn't include 3H2 and indeed had we
14 included one of those triangles that had 3H2 that triangle
15 would be closer to the surface.

16 MS. MURRAY: Would you say significantly closer to the
17 surface?

18 MR. CARLSON: Yeah, I would say so.

19 MS. MURRAY: Thank you. That is all about that
20 figure.

21 Question for Mr. Dodson. The figure, I guess it is
22 now the reverse -- no, it's down on the floor, from the
23 Lines Bilhorn Report that you used and the mapping shown on
24 that, isn't it true that that Lines Bilhorn Report map shows
25 that the riparian, wetted riparian area extends seven miles

1 from the VVWRA plant?

2 MR. DODSON: I need a ruler.

3 I would say it is more about like six.

4 MS. MURRAY: A rough estimate?

5 MR. DODSON: Yes, ma'am.

6 MS. MURRAY: One question for Ms. Kegarice.

7 MS. KEGARICE: Kegarice.

8 MS. MURRAY: You mentioned that DFG responded and had
9 concerns about the Mojave ground squirrel riparian habitat?

10 MS. KEGARICE: Yes.

11 MS. MURRAY: When VVWRA submitted its 2081 application
12 to the Department, was the MOU signed at that time? Are you
13 aware of -- was there an MOU between VVWRA and the
14 Department regarding --

15 MS. KEGARICE: The 2081 is in process. I was told by a
16 Julie Brown at the Department of Fish and Game in Sacramento
17 on Friday, December 1st, that somebody who prior to the
18 date, named Nancee Murray, had held up the 2081 pending
19 investigation.

20 MS. MURRAY: My question is: At the time the
21 application was submitted, it was the Department's belief
22 that 8,500 acre-feet would -- was it the Department's belief
23 based on the MOU there would be 8,500 acre-feet?

24 MS. KEGARICE: I don't know what MOU you are referring
25 to.

1 MR. HITCHINGS: I am going to object as lacking
2 foundation as to her being able to testify as to what the
3 Department's belief was.

4 H.O. BAGGETT: Sustained.

5 MS. MURRAY: So you do not know whether when the VVWRA
6 submitted its 2081 whether or not the MOU was in place at
7 that time?

8 MS. KEGARICE: I do not know what the MOU is.

9 MS. MURRAY: An MOU --

10 MS. KEGARICE: No. The MOU. I know what an MOU is,
11 but I don't know what the MOU is.

12 MS. MURRAY: The MOU I am referring to is an MOU
13 Department of Fish and Game and VVWRA regarding this
14 wastewater change petition.

15 MS. KEGARICE: Then would you repeat the question.

16 MS. MURRAY: Do you know when the VVWRA submitted its
17 2081 application if the MOU which I just referred to,
18 explained to you, was in place?

19 MS. KEGARICE: I do not.

20 MS. MURRAY: I have a few questions for Mr. Dodson.

21 In your testimony at Paragraph 8 you mention a Section
22 7 consultation with the U.S. Fish and Wildlife Service.

23 MR. DODSON: Yes.

24 MS. MURRAY: And VVWRA has submitted what appears to be
25 a Section 7 consultation as VVWRA Exhibit 6C?

1 MR. DODSON: Yes.

2 MS. MURRAY: Is that Exhibit 6C the U.S. Fish and
3 Wildlife Service consultation you referred to in Paragraph
4 8?

5 MR. DODSON: Yes. By the way, VVWRA did not submit
6 that. VVWRA submitted it through the Environmental
7 Protection Agency for another project.

8 MS. MURRAY: The project description in VVWRA Exhibit
9 6C seems to cover only the physical expansion of the
10 treatment plant for the increase in volume of the plant; is
11 that correct?

12 MR. DODSON: Yes, but I need to amplify that answer.
13 It was submitted with the total set of all the area that
14 would be impacted by the pipeline and the percolation ponds
15 associated with the expansion and a proposed compost
16 facility. The federal EPA made a determination with the
17 Fish and Wildlife Service to delete the other two, excluding
18 those projects that were not consistent with the EPA grant,
19 which was only for the water, for the water plant -- the
20 reclamation plant expansion.

21 The significance of that is that we submitted it in
22 that fashion so that it wouldn't be caught as piecemeal
23 submittal through us submitting a 10A permit. The federal
24 agencies determined that we should be splitting them because
25 EPA didn't want to include those projects which were not

1 within its jurisdiction.

2 MS. MURRAY: The consultation is with EPA only for the
3 plant expansion and does not at this time cover the pipeline
4 or diversion of water from the riparian area?

5 MR. DODSON: Lisa is going to answer that. She has
6 been in close contact with the Fish and Wildlife Service.

7 MS. KEGARICE: The consultation with Fish and Wildlife
8 Service included a 72.1 acre parcel to be fenced and clear
9 of tortoises. Of that 72.1 acres, 2.4 acres of the pipeline
10 would be within that area. Once that area was clear and
11 fenced for desert tortoise as part of the EPA funded
12 project, then tortoise would no longer be taken in any
13 subsequent projects.

14 MS. MURRAY: Mr. Dodson, in Paragraph 9 of your
15 testimony you say:

16 Approximately three miles upstream of the
17 VVWRA discharge points granitic bedrock
18 approaches the ground surface and forces the
19 subsurface flows along the Mojave River
20 Channel to rise to the surface at a location
21 called the Lower Narrows. (Reading.)

22 Does that sentence mean that three miles upstream of
23 the VVWRA plant surface flows begin and then persist? As
24 you testified in Paragraph 10, five miles further downstream
25 of the VVWRA treatment plant?

1 MR. DODSON: No. And I think the operative there is
2 the last sentence in that same paragraph. It says from this
3 point at least some volume of flow persists even during the
4 summer months. The answer to you is no. Apparently it does
5 not flow for certain periods of time between the Lower
6 Narrows and the VVWRA discharge points.

7 MS. MURRAY: You are not sure that the Mojave River now
8 goes subsurface three miles upstream and it historically had
9 continuous surface flows past where the VVWRA plant is now
10 located?

11 MR. DODSON: I can answer the first portion of your
12 question in the affirmative, yes. The second portion I am
13 not sure because I don't have hard data on exactly how long
14 surface flows have been going below subsurface. I don't
15 know if it's been two years, ten years, 15 years. So I
16 can't answer the latter part. I can only say that, yes,
17 that has happened for a period of time.

18 MS. MURRAY: We will get to that in our case in chief,
19 the aerial photos.

20 In Paragraph 15 you testify that surface flows do not
21 percolate below the ground surface until about river mile 27
22 is passed.

23 Do you recall that?

24 MR. DODSON: Yes.

25 MS. MURRAY: And that is approximately five miles?

1 MR. DODSON: Yes, approximately five miles, just past
2 Bryman Road. When looked at the data here, though, they
3 show surface flows down a little bit further. So it is in
4 that range, approximately five miles.

5 MS. MURRAY: As you referred to before, the Lines
6 Bilhorn Report is approximately six to seven miles. I guess
7 your six miles?

8 MR. DODSON: That is what I measured.

9 MS. MURRAY: Let's now talk about Paragraph 16 of your
10 testimony. As you indicated in your oral testimony, this is
11 an important paragraph because you said it is an important
12 number, which is the 6,000 acre-feet that you will be
13 dealing with all along.

14 Isn't it true that your ultimate conclusion in
15 Paragraph 23 is based in large part on Paragraph 16?

16 MR. DODSON: As one component of that conclusion, yes,
17 and a major component, not the only component.

18 MS. MURRAY: Major component. Okay.

19 In Paragraph 16 you state:

20 According to the Lines Bilhorn Report
21 consumptive water use (evapotranspiration) by
22 the riparian and preatophytic vegetation in
23 the Transition Zone is estimated to be 6,000
24 acre-feet annually. (Reading.)

25 So what you are talking about here with the 6,000

1 acre-feet in your Paragraph 16 is evapotranspiration or the
2 amount of water that the plant withdraws from the soil; is
3 that correct?

4 MR. DODSON: The riparian habitat as defined in the
5 tables that I referenced earlier.

6 MS. MURRAY: What you are talking about here is
7 evapotranspiration, correct?

8 MR. DODSON: From those plants, yes. And we are
9 talking about Table 2 and Table 6 and Table 7 as being the
10 basis for those estimates.

11 MS. MURRAY: The estimate on evapotranspiration?

12 MR. DODSON: Consumptive water use. Don't use my term
13 all the time. That is what I equated them to be right then.
14 It is consumptive water use, and that is the term that is
15 used up there. If you don't like the way I use the word
16 evapotranspiration then so be it.

17 MS. MURRAY: No, I like your use of evapotranspiration
18 because that is, in fact, what this 6,000 acre-feet
19 means. And does the riparian area need any additional
20 amount of water to sustain the plants in the area around
21 those plants other than that needed for evapotranspiration?

22 MR. DODSON: It's a complicated question. First let's
23 use again the term consumptive water use for a moment.

24 MS. MURRAY: Feel free to stick with
25 evapotranspiration. I like it.

1 MR. DODSON: I am sure. Consumptive water use in this
2 particular case means to me that all the habitat that is
3 within the whole of the transition area, Alto transition
4 area or zone, from the Lower Narrows to Helendale consumes,
5 consumed, 6,000 acre-feet. Is additional water required?
6 Only in those areas where, in my opinion, only in those
7 areas where you have preatophytic vegetation which is not
8 riparian now. We are talking about those things that are
9 aquatic, that have to live actually in water on the surface.
10 Those specific areas which constitute 200 acres within that
11 whole area are the only areas that require, in my opinion,
12 additional surface water because it has to be there.

13 MS. MURRAY: And that is in your opinion, and your
14 opinion is based on the Lines Bilhorn report, correct,
15 giving the figure of 6,000 acre-feet of evapotranspiration?

16 MR. DODSON: The 6,000 acre-feet value comes from that.
17 The opinion that you had just asked me for was just formed
18 based upon the question you asked, which was do you need
19 more than 6,000 acre-feet.

20 And I'm saying if you consume 6,000 acre-feet you are
21 going to need a couple acre-feet more to be able to sustain
22 surface water if it is not there already.

23 MS. MURRAY: In addition to evapotranspiration would
24 the plants need water to carry it to the area and carry it
25 past the carriage water?

1 MR. DODSON: I think you're again mixing apples and
2 oranges. Let me answer it in two ways. Mr. Carlson has
3 shown that surface water is needed to carry flows a certain
4 distance downstream, and that is already in the record and I
5 don't need to go through that again. The other question
6 you're asking is: Does the riparian vegetation need the
7 surface flows to do that? In my opinion, no, there is a
8 groundwater flow that is a component of what is going in in
9 the alluvial channel, and that has the ability to also be
10 able to make up water downstream. So my answer is I don't
11 agree with the conclusion it has to be surface flow to be
12 able to sustain the habitat.

13 MS. MURRAY: Do you agree that in addition to
14 evapotranspiration the plants need some amount of water,
15 surface or groundwater, to move the water to them, to get
16 them? They can't -- the 6,000 isn't going to drop on them;
17 is that correct?

18 MR. DODSON: No.

19 MS. MURRAY: It has to move to them, correct?

20 MR. DODSON: It has no flow I think is the proper term.

21 MS. MURRAY: It has to flow to them and it has to flow
22 past them; isn't that correct?

23 MR. DODSON: Your question again is assuming that all
24 water that is for sustaining the riparian habitat is coming
25 from the surface flows. I don't buy into that argument.

1 Does -- to be able to get surface flows that far and to be
2 able to provide some surface water habitat, yes, you have to
3 have some surface flows. But that does not necessarily --
4 is not necessarily required to sustain all the remainder
5 with the exception of, and Lisa has pointed out to me, we do
6 need to have flows, base flow or storm flows, to be able to
7 help certain of the plants that are within the riparian
8 community to reproduce.

9 MS. MURRAY: So it is true that the 6,000 acre-feet is
10 not all that the plants need? You just said that there is a
11 certain amount for surface amount, a certain amount of
12 groundwater or surface, they need it, to get it to them and
13 pass them?

14 MR. DODSON: I think that the 6,000 acre-feet
15 represents the maximum amount of consumptive use. Again, I
16 think the question that we talked to is, do you need surface
17 flows, was related to surface flows sustaining aquatic
18 plants. And you've got to have surface water to do that.
19 And I acknowledge that those surface water plants or aquatic
20 plants require surface water to do that. The remainder does
21 not.

22 MS. MURRAY: Is it true that you don't know if the
23 6,000 acre-feet is the total amount of water that that
24 riparian area would need to sustain itself?

25 MR. DODSON: I don't think anybody really knows. The

1 best estimate is that one right there, and I believe that is
2 a correct estimate. It is a good estimate, not a correct
3 estimate.

4 MR. MURRAY: A good estimate of one component of what
5 is needed to sustain the riparian area?

6 MR. DODSON: Of one component, yes, ma'am.

7 MS. MURRAY: And only one component.

8 MR. DODSON: Yes.

9 MS. MURRAY: Let's stop there.

10 Paragraph 20 of your testimony states the combined
11 amount of the two primary surface water flow components,
12 surface flow and VVWRA discharge, is approximately 24,000
13 acre-feet, correct?

14 MR. DODSON: If you take the last 13-year average plus
15 the current VVWRA rate discharges, that is a correct value.

16 MS. MURRAY: Are you saying for the last 13 years?

17 MR. DODSON: Yes, ma'am, 1981 to 1994. That was the
18 latest data I had when I was doing this evaluation.

19 MR. MURRAY: This is an overhead of Figure 10 from DFG
20 Exhibit 3. According to this exhibit in the last 12 years
21 -- you used 13, so we are close -- how many years does this
22 figure show a combined surface and base flow amount over
23 20,000. You said 24-, over 20,000. Just count back bars
24 from the end.

25 MR. DODSON: You are using a different set of records

1 than I used. As I said, my database was 1981 to 1994. And
2 during that period of time, if you go back to 1981, there
3 were one, two, three, four periods that exceeded 20,000
4 acre-feet.

5 MS. MURRAY: And using the last -- would you agree that
6 this chart shows a downward trend in the base flow?

7 MR. DODSON: I've acknowledged that in my testimony,
8 yes, ma'am.

9 MS. MURRAY: And according to this graph, Todd
10 Engineers, in the last 12 years only one year is above
11 20,000 acres, in the combined, not just the base flow, but
12 combined?

13 MR. DODSON: That is accurate.

14 MS. MURRAY: Lisa, again, in Paragraph 6, Subparagraph
15 16, you state VVWRA and the city will acquire and set aside
16 18 acres of the tortoise-ground squirrel habitat to
17 compensate for disturbance and temporal loss of tortoise
18 habitat along the pipeline route in an endowment of
19 \$10,000; is that correct?

20 MS. KEGARICE: Yes.

21 MS. MURRAY: Do you know if this offer has formally
22 been transmitted to the Department of Fish and Game or the
23 U.S. Fish and Wildlife Service?

24 MS. KEGARICE: I do not know.

25 MR. DODSON: I do. And the answer is no because it has

1 been superseded. As part of our application on the 2081, we
2 have applied to cover all three of our projects, again
3 trying to avoid piecemeal applications which consisted of
4 the percolation ponds, the compost facility and the
5 pipelines. And what we have proposed is a greater than the
6 three to one mitigation ratio with an endowment, I believe,
7 that is on the order of a hundred thousand dollars after
8 talking with your DFG staff.

9 That project was subsumed in that and here's the
10 rationale for it. As I indicated before and as Lisa
11 indicated, there were no tortoises in the pipeline
12 alignment. We believe that if we constructed during the
13 winter that we would only have a temporal loss of habitat
14 and could revegetate that habitat and bring it back, and we
15 were looking at a two to one mitigation ratio with a low
16 endowment at that particular point in time. When we
17 combined all three, when you look at the whole of that area,
18 we do have tortoises, we will have a take. We will have to
19 handle the animals to move them. We offered to pull three
20 to one mitigation with a different endowment which
21 encompassed the pipeline acreage.

22 MS. MURRAY: Last question, I believe.

23 MR. DODSON: By the way, in fact it is a greater than
24 three to one ratio. We are purchasing 320 acres and there
25 is only 98 acres of total disturbance in what I just

1 mentioned to you, the three projects, which would be a three
2 to one ratio of 294 acres.

3 MS. MURRAY: Mr. Dodson, in your oral testimony today
4 you referred to Attachment 6 to your change petition
5 prepared by Frank --

6 MR. DODSON: Hovor.

7 MS. MURRAY: Hovor & Associates, as part of the basis
8 of your opinion and your testimony?

9 MR. DODSON: Yes, ma'am.

10 MS. MURRAY: On Page 20 of that report, isn't it true
11 that Mr. Hovor concludes that changes in the amounts or
12 chemistry of treatment plant outflows have the potential to
13 result in impacts to aquatic invertebrates, fish and
14 amphibians and to alter habitat and food chain
15 relationships involving these organisms?

16 MR. DODSON: The answer is yes. He provided it at a
17 generic level for Victor Valley Waste Water Reclamation
18 Authority. That's what led us to carefully examine these
19 issues to determine whether we thought there would be
20 sufficient flows remaining in the river, not just be the
21 VVWRA flows, but total flows to be able to sustain those
22 habitats. With specific evaluation we came to the
23 conclusion that has been presented here today on our behalf.

24 MS. MURRAY: You disagree with Mr. Hovor?

25 MR. DODSON: No, ma'am. Mr. Hovor was dealing with the

1 generic set of conditions. We had a specific project that
2 deals with 1,680 acre-feet, and we concluded that those
3 things will not happen.

4 MS. MURRAY: You say he was dealing with specific --
5 not dealing with specifics but he was evaluating the
6 biological constraints for the Victor Valley water treatment
7 plant?

8 MR. DODSON: That is correct. What I was saying to you
9 was he is not dealing with the specific project that he was
10 evaluating. He was looking at what were the types of issues
11 that would confront the agency, the Authority in this
12 case, if there was water that was removed. As we said, we
13 evaluated that specific issue.

14 MS. MURRAY: Mr. Dodson, you testified that shallow
15 groundwater occurring north of the plant near Bryman Road,
16 you testified, is not supplied by surface water; is that
17 correct?

18 MR. DODSON: No, ma'am, I did not. I said that is not
19 the only supply to that groundwater because there is
20 groundwater movement that also occurs and recharge that
21 comes from storm flows as well as this surface flow that is
22 annual, that is VVWRA flows, plus base flows, that during
23 the -- many months of the year do actually pass all the way
24 down through the VVWRA plant and beyond.

25 MS. MURRAY: Storm flows.

1 MR. DODSON: Base flows, storm flows, VVWRA flows, plus
2 whatever groundwater is moving down the channel, down the
3 alluvial aquifer are all contributing to groundwater in any
4 given time at any given location.

5 MS. MURRAY: In addition to surface flow?

6 MR. DODSON: Well, surface flows I'm breaking into
7 components. But surface flows plus the groundwater flows,
8 yes, ma'am.

9 MS. MURRAY: Okay.

10 H.O. BAGGETT: Thank you.

11 Now it is 25 till five.

12 Mr. Ledford, how long do you think?

13 MR. LEDFORD: I am going to go to five.

14 H.O. BAGGETT: If you have a full hour or two, what I
15 would do is ask the other parties if any of them think they
16 can do it before five, just so we don't break midway
17 through. That is my preference.

18 What do you think?

19 MR. LEDFORD: Would be longer.

20 H.O. BAGGETT: Mr. Kidman, you want to wait until
21 tomorrow and do it all at once, I assume.

22 MR. KIDMAN: Well, I think that I have a chance in half
23 an hour to do everything I need to do with this panel.

24 H.O. BAGGETT: If you do, I'd just as soon as -- that
25 way give you full -- you think you are going to go longer?

1 Sure.

2 ----oOo----

3 CROSS-EXAMINATION OF SECOND PANEL

4 VICTOR VALLEY WATER RECLAMATION AUTHORITY

5 BY SOUTHERN CALIFORNIA WATER COMPANY & CITY OF BARSTOW

6 BY MR. KIDMAN

7 MR. KIDMAN: Thank you, Mr. Chairman. My name is Art
8 Kidman. I am legal counsel for Southern California Water
9 Company and the City of Barstow in these proceedings. My
10 first questions are for Mr. Carlson.

11 Mr. Carlson, is it your opinion that in the area that
12 you studied that there is a continuity between the surface
13 water flows and the groundwater?

14 MR. CARLSON: Yes. That was in my testimony, that
15 there is a continuity.

16 MR. KIDMAN: By that, that doesn't mean that they are
17 touching in all places; is that right?

18 MR. CARLSON: It appears that they are not touching in
19 all places. In some places they are touching, coupled and
20 decoupled.

21 MR. KIDMAN: There is a relationship between the
22 surface water flows and the groundwater in the area that you
23 studied?

24 MR. CARLSON: Yes. Most of the area the surface
25 water recharges the groundwater.

1 MR. KIDMAN: Now, are you familiar with the concept of
2 the Alto subarea, you know what that is about?

3 MR. CARLSON: I know that there is an Alto subarea. I
4 don't know the concept about -- there are probably concepts,
5 but I know there is an Alto subarea.

6 MR. KIDMAN: Have you reviewed any of the literature
7 relative to the hydrology of the Mojave Basin?

8 MR. CARLSON: I have reviewed some of the literature.

9 MR. KIDMAN: Some of it refers to the upper area and
10 some refers to the Alto area and staff report referred to as
11 the -- in the hearing report it is referred to as Alto area.
12 Is that upstream or downstream from the VVWRA plant, the
13 Alto subarea?

14 MR. CARLSON: The Alto subarea?

15 MR. KIDMAN: Yes.

16 MR. CARLSON: The Alto subarea is a larger area. The
17 VVWRA plant I believe is in part of it and the lower part
18 is, I think, referred to as a Transition Zone.

19 MR. KIDMAN: Thank you.

20 And the Centro subarea is upstream or downstream from
21 the VVWRA plant?

22 MR. CARLSON: I believe it is downstream.

23 MR. KIDMAN: And the Transition Zone is that inbetween
24 Alto and Centro?

25 MR. CARLSON: Yes, it is. I think that -- I believe

1 the transition is part of the Alto.

2 MR. KIDMAN: What is the boundary line between Alto and
3 Centro?

4 MR. CARLSON: I believe it's the Helendale Fault.

5 MR. KIDMAN: I wonder if somebody can put up one of the
6 maps, maybe refers to that. There was a map earlier.

7 MR. DODSON: One moment please.

8 MR. KIDMAN: Just for the purpose of reorienting
9 because a lot of this seems like it's a gotten a little bit
10 tedious.

11 Can you point to where the Helendale Fault is?

12 MR. CARLSON: Yes, I can. Right here.

13 MR. KIDMAN: That is generally the boundary between the
14 Alto area and the Centro area; is that right?

15 MR. CARLSON: Well, as depicted on that map and as I
16 understand it is, yes.

17 MR. KIDMAN: Do you know where the Lower Narrows is?

18 MR. CARLSON: Yes, I do.

19 MR. KIDMAN: Can you point to that on the map?

20 What is that, about ten or 12 miles in between the
21 Helendale Fault and Lower Narrows?

22 MR. CARLSON: I think it is a little bit more than
23 that, maybe 13, but I am not sure. I can't measure it right
24 now.

25 MR. KIDMAN: The VVWRA plant is located how far

1 downstream from the Lower Narrows?

2 MR. CARLSON: It is located about four miles
3 downstream, I believe.

4 MR. KIDMAN: It's about, what, a third of the way
5 through the Transition Zone?

6 MR. CARLSON: I would have to check my maps. I would
7 say --

8 MR. KIDMAN: It's four miles and you said it is about
9 13, so it is about a third of the way through; is that
10 right?

11 MR. CARLSON: I think it is a longer reach between the
12 Lower Narrows and Helendale. I think Helendale is 13 from
13 the treatment plant. I would have to get out and measure
14 these things.

15 MR. KIDMAN: So maybe it is a quarter of the way?

16 MR. CARLSON: Okay.

17 MR. KIDMAN: Now you've described this stream in a
18 portion of the Transition Zone. You studied the stream in a
19 portion of the Transition Zone; is that right?

20 MR. CARLSON: That's correct.

21 MR. KIDMAN: And the -- I understood your testimony in
22 these terms, and let me just ask: The Mojave River surface
23 flows in this area would be described as a losing stream
24 rather than as a gaining stream in relationship to the
25 groundwater?

1 MR. CARLSON: Throughout almost all of the reach it
2 would be described as a losing stream in the sense that
3 surface water would enter the groundwater.

4 MR. KIDMAN: Have you in your review of the literature
5 and materials in preparation for your testimony ever heard
6 of the concept of the water bridge?

7 MR. CARLSON: No, I have not.

8 MR. KIDMAN: Let's just suppose for a moment that there
9 is a requirement in the judgment that a certain amount of
10 water is delivered from the Alto subarea to the Centro
11 subarea. Do you know where that water gets measured?

12 MR. CARLSON: No, I do not.

13 MR. KIDMAN: Let's assume then that water gets measured
14 at the Lower Narrows, and let's assume that there is a
15 requirement to deliver 23,000 acre-feet of base flow
16 annually across the Helendale Fault, and assume that the
17 concept of the water bridge means that there has to be
18 enough water maintained in the groundwater in that area so
19 that the surface and subsurface flow of the Mojave River
20 delivers water across the Helendale Fault.

21 So with those assumptions in place, I want to ask you
22 if the proposal to change the amount of water that is
23 discharged from the VVWRA plant might have an affect on what
24 I just described?

25 MR. CARLSON: It might have an affect, yes.

1 MR. KIDMAN: Is it possible, since this is a losing
2 stream, that if less water is discharged by VVWRA in about a
3 quarter of the way through the Transition Zone that that is
4 going to have an affect on the amount of water that
5 otherwise would reach the Helendale Fault?

6 MR. CARLSON: Unless that water were made up somewhere
7 else, in a hydraulic connection.

8 MR. KIDMAN: Just answer the question. If under these
9 assumptions you have a reduction in the amount of water that
10 VVWRA is discharging and nothing else, is it going to reduce
11 the water that gets to the Helendale Fault?

12 MR. CARLSON: If there are -- if that is that sole
13 change in the component of the water budget, then that is
14 true.

15 MR. KIDMAN: Now, can you point out on that map where
16 Bryman Road is?

17 MR. CARLSON: Right about there.

18 MR. KIDMAN: That is roughly about halfway through the
19 Transition Zone?

20 MR. CARLSON: I guess it is about halfway.

21 MR. KIDMAN: Did you study the reach of Transition Zone
22 between Bryman Road and the Helendale Fault?

23 MR. CARLSON: We studied it only to the extent of
24 collecting some water levels minus one water level that I
25 saw today.

1 MR. KIDMAN: You did not form any opinion about whether
2 or not this proposal to take water away from the river into
3 this project is going to have an affect on the water that
4 passes the Helendale Fault?

5 MR. CARLSON: We did not evaluate any water budget
6 changes at the Helendale Fault, no.

7 MR. KIDMAN: You did not form any opinions about how
8 much water it would take to maintain 23,000 acre-feet of
9 base flow from the Alto area into the Centro area; is that
10 right?

11 MR. CARLSON: I did not do an independent water budget
12 evaluation of the effects at the Helendale Fault.

13 MR. KIDMAN: Thank you.

14 Now, you did testify, and I refer you to Paragraph 15
15 on Page 4 of your testimony, that there will be no increase
16 in consumptive use of water as result of offsetting
17 reduction of groundwater pumping at the golf course. I
18 believe you already testified to that here orally today.

19 MR. CARLSON: That is correct.

20 MR. KIDMAN: You believe there is no consumptive use
21 increase as a result of this project?

22 MR. CARLSON: That is correct, assuming it is a
23 replacement of the existing irrigation use.

24 MR. KIDMAN: Did you do any study to determine or do
25 you have any independent knowledge of whether or not the

1 water that is currently going to that golf course or which
2 would go to the golf course in the absence of this project
3 is actually going to remain in the ground? Do you know
4 that?

5 MR. CARLSON: I believe that the location of those
6 wells, I have been told, I have not investigated the exact
7 connection, but I understand that the wells that supply the
8 golf course are located in the city of Adelanto well field
9 which is below the wells -- that is true, I don't have
10 independent knowledge of that.

11 MR. KIDMAN: So you don't know if Adelanto is going to
12 take the water that is saved out of those wells and use it
13 for something else?

14 MR. CARLSON: They might, but they would if they are --

15 MR. KIDMAN: You either know it or you don't know.

16 MR. CARLSON: Rephrase the question.

17 MR. KIDMAN: Do you know whether Adelanto is going to
18 turn off its wells and reduce its pumping as result of this
19 project?

20 MR. CARLSON: If they are not supplying water to the
21 golf course and instead using reclaimed water, then there
22 will be a reduction of groundwater pumping.

23 MR. KIDMAN: Did you ask anybody at Adelanto what they
24 might do with the water?

25 MR. CARLSON: That is a different question. The

1 question is, what I am looking at is the change for this
2 particular project.

3 MR. KIDMAN: You are just making the assumption that if
4 this water is replaced with water from VVWRA, that is if the
5 well water that's currently going there from Adelanto to the
6 golf course is replaced that there won't be a net increase
7 in consumptive use?

8 MR. CARLSON: There is not going to be an increase in
9 consumptive use at the golf course if one source of water is
10 replaced by another.

11 MR. KIDMAN: Your testimony wasn't about consumptive
12 use at the golf course; it was about there won't be any
13 increase coming out of the system, meaning the whole Mojave
14 Basin system. Is that not right? Tell me if it is not
15 right and we will move on.

16 MR. CARLSON: You have to refer me to where I said of
17 the whole system.

18 MR. KIDMAN: There would be no increase in consumptive
19 use of waters as a result of offsetting reduction of
20 groundwater pumping at the golf course is what you said.
21 You don't know. I am just asking you that question. You
22 don't know if this water that was being used at the golf
23 course is going to be used somewhere else?

24 MR. CARLSON: It might be.

25 MR. KIDMAN: Okay, it might be.

1 But we do know that it won't be in the Transition Zone
2 anymore, will it? We know that as a fact?

3 MR. CARLSON: I don't know.

4 MR. KIDMAN: If this water is diverted, water that is
5 currently being discharged into the Transition Zone is
6 diverted, so be used at this golf course, it is not going to
7 be in the Transition Zone anymore, is it?

8 MR. CARLSON: That component would not be.

9 MR. KIDMAN: Every acre-foot that comes out of the
10 stream at that point or doesn't go into that stream at that
11 point is going to be used somewhere else. It is not going
12 to be there anymore.

13 H.O. BAGGETT: Is that a question?

14 MR. KIDMAN: I am asking him that. Is that true or
15 not?

16 MR. CARLSON: The removal of a quantity of water from
17 the discharge at the treatment plant would result in a
18 reduction in that component of groundwater recharge.
19 However, I believe that that reduction in groundwater
20 recharge would be offset by a reduction in pumping at wells
21 that attribute water to part of the subsurface flow of
22 groundwater in the transition, Transition Zone.

23 I believe it is a net of zero to the groundwater. It
24 would be a change of location, but the net would be zero.

25 MR. KIDMAN: If you look at the whole water cycle of

1 the whole world, the net is zero, if you look at a big
2 enough piece; isn't that right?

3 MR. CARLSON: Yes.

4 MR. KIDMAN: Okay. So as far as the water that is in
5 the Transition Zone, where it's dealing with the obligations
6 of the Alto subarea owes to the Centro subarea, there is a
7 net decrease as a result of this project?

8 MR. CARLSON: I don't believe that that is true. I
9 believe it is a net of zero.

10 MR. KIDMAN: You have 1,670 acre-feet per year being
11 moved approximately three miles upstream and one mile
12 laterally away from the stream. That water is no longer in
13 the Transition Zone at that location?

14 MR. CARLSON: But the source of the previous or the
15 origin of the previous source is in the city of Adelanto
16 well field below the Lower Narrows that would not be pumped.
17 So that would be a reduction in the discharge of groundwater
18 there. So the net in that aquifer is going to be zero.

19 MR. KIDMAN: You don't have any idea how long it is
20 going to take for that water that gets moved three miles up
21 and one mile over, going to take to get back to the
22 Transition Zone where it started?

23 MR. CARLSON: I don't know what you mean by one mile up
24 and three miles over.

25 MR. KIDMAN: I said three miles upstream. Isn't that

1 about how far -- there was another map that they have that
2 showed it.

3 MR. DODSON: Which maps?

4 MR. KIDMAN: It was a project location map.

5 MR. DODSON: Dan, you've got that in your package. We
6 have one, too, somewhere.

7 H.O. BAGGETT: Talking about the location of the golf
8 course?

9 MR. DODSON: Is this the one you are looking for, sir?

10 MR. KIDMAN: Thank you. That is good.

11 So the VVWRA plant is right next to the river; is that
12 right?

13 MR. CARLSON: That's correct.

14 MR. KIDMAN: And the golf course at the other end is a
15 mile or a mile and a half away from the river; is that right?

16 MR. CARLSON: That's correct.

17 MR. KIDMAN: And it is about three miles from the plant
18 to the golf course?

19 MR. CARLSON: That's correct.

20 MR. KIDMAN: So we are going to be three miles upstream
21 and one mile away from the stream.

22 MR. CARLSON: As I understand it, the source, the
23 current source of water for that golf course is a well field
24 that is down at this area.

25 MR. KIDMAN: Nevertheless, water that is in the

1 Transition Zone now or will be if this project is approved
2 won't be in the stream at the location that it's at now if
3 it is approved?

4 MR. CARLSON: It would be in a different location,
5 that's true.

6 MR. KIDMAN: It would be roughly three miles south and
7 one mile, a mile and a half, west of where it was before?

8 MR. CARLSON: No, that is not true. It would be in the
9 city of Adelanto well field, which is not in the same
10 location as the golf course.

11 MR. KIDMAN: Mr. Dodson, I would like you to go through
12 your arithmetic at this time because I didn't quite follow
13 this business about the worst year we ever had was 13,000 of
14 base flow at some location.

15 MR. DODSON: No, sir.

16 MR. KIDMAN: I will ask the question and you get to
17 answer it.

18 I understood 13,000, and I understood you to say that
19 if there was a requirement of 4,000 for the riparian
20 vegetation, that there was still plenty of water left in
21 base flow and, therefore, this project wasn't going to have
22 any impact whatsoever on the riparian vegetation.

23 Is that a rough approximation of what you said?

24 MR. DODSON: No, sir.

25 MR. KIDMAN: Let's just assume that it was. I want to

1 know how that -- let me ask you another question. It's
2 foundation.

3 Would you consider cutting off the recharge of the
4 groundwater basin to be an environmental impact? Let me ask
5 it a different way.

6 MR. DODSON: As absurd as it sounds, yes, it would be.

7 MR. KIDMAN: If you're reducing the amount of water
8 available to recharge in the groundwater basin, would that
9 be an environmental impact?

10 MR. DODSON: Please repeat that question.

11 MR. KIDMAN: If the amount of water -- in the abstract,
12 a groundwater basin gets a certain amount of recharge at
13 time A. And time B if that recharge is reduced is that an
14 environmental impact?

15 MR. DODSON: If there is net reduction, the answer
16 would be yes.

17 MR. KIDMAN: Are you aware -- I am just going to ask
18 you if you are aware -- there is a requirement in the Mojave
19 River judgment to maintain 23,000 acre-feet of water
20 available to crops in the Alto area and to the Centro area
21 to Helendale Fault?

22 MR. DODSON: I am aware of it.

23 MR. KIDMAN: So if there was a reduction or if there
24 was some project that made it more difficult or impossible
25 to maintain at 23,000 acre-feet, would that be an

1 environmental impact, in the abstract?

2 MR. DODSON: I am not comfortable dealing with your
3 hypothetical. I will answer it and say, yes, but I don't
4 think it applies.

5 MR. KIDMAN: Thank you.

6 H.O. BAGGETT: He answered the question.

7 MR. KIDMAN: I appreciate that.

8 And if there is a 23,000 acre-feet per year base flow
9 obligation at Helendale Fault and there is 4,000 acre-feet
10 of riparian vegetation consumption and this is a losing
11 stream, and the point of measurement for getting the water,
12 a point of measurement for the water is at the Lower
13 Narrows, that is why we call it the Transition Zone. I will
14 give you that. Start over again.

15 If there is a 23,000 acre-feet requirement, 4,000
16 acre-feet annually of riparian vegetation consumption and
17 there is some amount of loss in moving from the stream to
18 the groundwater, isn't it likely that one of the -- there is
19 going to be some impact on the groundwater recharge
20 component of this if we take one acre-foot of water out of
21 the Transition Zone at the VVWRA plant?

22 MR. DODSON: In my opinion, the way you structured the
23 question, no.

24 MR. KIDMAN: What if it was 1,670 acre-feet that was
25 being taken out?

1 MR. DODSON: My answer is still no.

2 MR. KIDMAN: What if it is 8,000 acre-feet being taken
3 out annually?

4 MR. DODSON: As long as 8,000 acre-feet is left in the
5 ground, no, not pumped.

6 MR. KIDMAN: I didn't ask that. You had a stream here
7 that is losing, the surface stream that is feeding the
8 groundwater. You've got riparian vegetation consumption,
9 taking water out of that. There is a requirement to get
10 23,000 acre-feet of water annually through there.

11 MR. DODSON: You're asking me to give you a break point
12 as to what would be --

13 MR. KIDMAN: I am asking you to answer the question.

14 H.O. BAGGETT: Yes or no. If you can't answer, say so.

15 MR. DODSON: I can't answer the question the way you
16 structured, for the 8,000 acre-feet.

17 H.O. BAGGETT: Just answer.

18 MR. KIDMAN: And if it was 18,000 projected in the
19 future, recycled water going to be available out of this
20 plant. I don't know if it is 2,000 acre-feet per year that
21 the riparian vegetation uses or if it is 4,000 or if it is
22 6,000 because I have heard all three numbers from you.

23 But let's just say that it is 2,000. So of the 18,000
24 that is projected to be used there some day in the future,
25 if all of it but 2,000 is taken out, meaning that 16,000 of

1 it is taken and used somewhere else, away from the
2 Transition Zone, is there going to be an environmental
3 affect?

4 MR. DODSON: In the way you've characterized it, yes.

5 MR. KIDMAN: Thank you.

6 I just have a couple of questions for Mr. MacLaggan.

7 MR. MACLAGGAN: MacLaggan.

8 MR. KIDMAN: Then that will be done.

9 H.O. BAGGETT: Great.

10 MR. KIDMAN: Sorry for holding over a couple minutes
11 here.

12 H.O. BAGGETT: No problem.

13 MR. KIDMAN: Would you -- there was some testimony
14 earlier today, and I am just going to ask you since you
15 know all about this 13550 section. Mr. Hill, I believe it
16 was, testified that recharge of the Centro subarea from the
17 Transition Zone is a beneficial use of water.

18 Do you believe that groundwater recharge is a
19 beneficial use of water?

20 MR. MACLAGGAN: Assuming that the recharge water is
21 going to go on to serve subsequent beneficial use, yes.

22 MR. KIDMAN: Let me ask basically the same question
23 with respect to the growth and preservation of habitat. Is
24 that a beneficial use of water?

25 MR. MACLAGGAN: Generally, yes.

1 MR. KIDMAN: In the abstract?

2 MR. MACLAGGAN: Generally, yes.

3 MR. KIDMAN: I'm going to ask you this. If all of the
4 water that comes out of the VVWRA plant today goes to either
5 recharge the groundwater, as Mr. Carlson said it is a losing
6 stream so it is recharging in the Transition Zone, so if it
7 is going there. Another second place that it is going is to
8 grow riparian vegetation. And third place that hopefully it
9 is going is spilling over the lip into the Centro Basin and
10 providing recharge there.

11 If all that water today is doing one of those three
12 things, I am going to ask you this, is there water
13 available, is there recycled water available within the
14 meaning of Water Code Section 13550?

15 MR. MACLAGGAN: The definition of availability of
16 recycled water is that it has been -- is product as a result
17 of the treatment of waste and is suitable to serve a
18 beneficial use. That is the definition of Water Code
19 Section 13505. And the treatment plant produces a product
20 as a result of treatment of waste and is suitable to serve a
21 subsequent beneficial use, I would say it is available.

22 MR. KIDMAN: Are you aware that the State Water
23 Resources Control Board has declared the Mojave River to be
24 a fully appropriated stream system?

25 MR. MACLAGGAN: I understand that.

1 MR. KIDMAN: And that means that there is no water
2 available for appropriation here in that system; is that
3 right?

4 MR. MACLAGGAN: I understand that.

5 MR. KIDMAN: So, this water that comes out of the VVWRA
6 plant today is already being used, and if it's already being
7 used is it available?

8 MR. MACLAGGAN: You are saying that the water that is
9 coming out of the plant has been appropriated?

10 MR. KIDMAN: I am saying that the system is fully
11 appropriated, and this water is being used by riparian
12 vegetation, by recharge of the groundwater in Transition
13 Zone and again hopefully spilling over the lip of the
14 Helendale Fault in the Centro area. I don't know where else
15 it is going today. All of those are beneficial uses.

16 If the water is already being beneficially used for
17 those three purposes, is there any water available?

18 MR. MACLAGGAN: I think that is a question for this
19 proceeding. I am not in a position to answer it, and that
20 is why we are having this proceeding and the hearing.

21 It is ultimately the responsibility of the State Board
22 to determine whether or not there is water available.

23 MR. KIDMAN: You don't have an opinion on that?

24 MR. MACLAGGAN: No, I do not.

25 MR. KIDMAN: That is all the questions I have.

1 H.O. BAGGETT: Thank you.

2 Mr. Hill will be here in the morning at nine?

3 MR. HITCHINGS: Yes, he will. He is flying up in the
4 morning on a 5:30 flight. Hopefully, he won't be too far.

5 H.O. BAGGETT: Well, assuming he is here at nine and
6 doesn't get delayed by the fog, we will begin and finish up
7 with Mr. Kidman's cross-examination of your prior panel.
8 Then we will come back and take up Mr. Ledford and Mr.
9 Yamamoto.

10 With that we are recessed until tomorrow at 9:00.

11 (Hearing adjourned at 5:05 p.m.)

12 ---oOo---

13

14

15

16

17

18

19

20

21

22

23

24

25

